

NEW MEXICO ENVIRONMENT DEPARTMENT

PUBLIC HEARING

105 Albright Street

Taos, New Mexico

Wednesday, October 16, 2019

5:30 p.m.

VOLUME I

HELD BEFORE: Felicia Orth, Hearing Officer

REPORTED BY: REBECCA FELLA
NEW MEXICO CCR No. 534
WILLIAMS & ASSOCIATES, LLC
1608 Fifth Street, Northwest
Albuquerque, New Mexico 87102

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

COUNSEL FOR THE APPLICANT, S & R SEPTIC:

PETE V. DOMENICI, JR.
Domenici Law Firm, P.C.
320 Gold Avenue SW, Suite 1000
Albuquerque, New Mexico 87102
(505) 883-6250

COUNSEL FOR THE GROUNDWATER QUALITY BUREAU:

OWEN JOHNSON
Assistant General Counsel
Office of General Counsel
New Mexico Environment Department
121 Tijeras Avenue NE, Suite 1000
Albuquerque, New Mexico
(505) 222-9508

COUNSEL FOR EL PRADO WATER AND SANITATION DISTRICT:

James C. Brockmann
Stein & Brockmann, P.A.
505 Don Gasper Avenue
Santa Fe, New Mexico 87505
(505) 983-3880

INDEX	
1	
2	WITNESS: JEROME B. HANSEN PAGE
3	Direct testimony of Jerome B. Hansen 12
	Cross-examination by Mr. Domenici 22
4	Cross-examination by Mr. Johnson 66
5	
6	WITNESS: JAY SNYDER
7	Direct examination by Mr. Domenici 88
	Cross-examination by Mr. Johnson 119
	Cross-examination by Ms. Leslie 137
8	Cross-examination by Mr. Hansen 147
	Redirect examination by Mr. Domenici 152
9	Recross-examination by Mr. Johnson 156
	Recross-examination by Mr. Hansen 158
10	Recross-examination by Mr. Mondragon 161
	Further redirect examination by Mr. Domenici 162
11	
12	WITNESS: JIM McCANN
13	Direct Examination by Mr. Domenici 164
	Cross-Examination by Mr. Johnson 171
14	
15	WITNESS: PHILLIP TAFOYA
16	Direct testimony of Phillip Tafoya 176
17	
18	WITNESS: MARY LANE LESLIE
19	Direct testimony of Mary Lane Leslie 181
	Cross-examination by Mr. Domenici 199
20	
21	WITNESS: NORBERT MONDRAGON
22	Direct testimony of Norbert Mondragon 204
23	
24	WITNESS: STEVE RAEI
25	Direct examination by MR. Domenici 207
	Cross-examination by Mr. Johnson 228
	Cross-examination by Ms. Leslie 251
	Cross-examination by Mr. Daubert 257
	Redirect examination by Mr. Domenici 265

1	WITNESS: DION SMITH	
2	Direct testimony of Dion Smith	267
3		
4	WITNESS: JOHN PAINTER	
5	Direct examination by Mr. Brockmann	292
6	Cross-examination by Mr. Daubert	308
7		
8	WITNESS: LOIS RODIN	
9	Direct testimony of Lois Rodin	310
10		
11	WITNESS: CHERYLIN ATCITY	
12	Direct testimony of Cherylin Atcitty	313
13		
14	WITNESS: JASON GLENN HERMAN	
15	Direct examination by Mr. Johnson	314
16	Cross-examination by Mr. Domenici	327
17	Cross-examination by Mr. Brockmann	330
18	Cross-examination by Mr. Smith	335
19	Cross-examination by Mr. Daubert	339
20	Recross-examination by Mr. Domenici	344
21		
22	WITNESS: DOUGLAS DAUBERT	
23	Direct testimony by Douglas Daubert	346
24		
25	WITNESS: BRUCE POPHAM	
26	Direct testimony by Bruce Popham	353
27		
28	WITNESS: STEVE RAEL	
29	Direct examination by Mr. Domenici	355
30		
31	Certificate of Reporter	280
32		

1 HEARING OFFICER ORTH: Good evening. My name is
2 Felicia Orth. I'm the hearing officer appointed by the
3 Secretary of Environment to conduct a hearing in the
4 matter of the application of S & R Septic for the renewal
5 of the septic disposal facility. This is discharge permit
6 DP-465.

7 The hearing will be conducted in accordance with
8 the Department's permitting procedures. That's 20.1.4 of
9 the New Mexico Administrative Code, and the Groundwater
10 Protection Regulations 20.6.2, as well as the provisions
11 of the Water Quality Act.

12 We have a beautiful facility for the hearing
13 this evening, and let me just mention a few things.

14 If you did not see the sign-in sheet on your way
15 in, please do go back and sign in. We use it for correct
16 spelling of your name -- no salesman will call -- and I
17 also use it in order to call on people in the order in
18 which they signed in when I get to public comments -- with
19 a few exceptions.

20 We do have some tea and water coming to -- hot
21 over there, with some cheese sandwiches and apple slices
22 in -- in a little bit.

23 I typically go about an hour and a half to two
24 hours -- depending on where the witness breaks are --
25 before we take a break. There will be no lengthy breaks

1 this evening, and we may go -- we may go quite late.

2 If we do not finish, the counsel for all parties
3 and the hearing clerk and I will be back in Taos on Monday
4 morning to finish the evidentiary hearing in this
5 matter -- not tomorrow and not Friday, not this weekend,
6 but Monday.

7 It was the first day we all had available again
8 after tonight, but we're going to try to finish tonight
9 even if it means going late.

10 The hearing is being recorded and transcribed by
11 Rebecca Fella of Williams & Associates court reporting
12 service. Please see her if you'd like to purchase a copy
13 of the transcript.

14 It also becomes a public record after it has
15 gone to the hearing clerk and can be viewed in the hearing
16 clerk's office. The hearing clerk is right there. Cody,
17 wave your hand, if you would. That's Cody Barnes.

18 If you have any questions about procedure or
19 where we are in the process either tonight or after
20 tonight, please do see Cody.

21 You can also -- tonight anyway -- catch me on a
22 break if you'd like, but please see Cody for the
23 administrative questions.

24 Oh, I think I just got louder.

25 So tonight is when we're making the evidentiary

1 record. No decisions will be made tonight or for a matter
2 of many weeks.

3 We have a post-hearing procedure which includes
4 receipt of the transcript, an opportunity for the parties
5 to prepare proposed findings and conclusions, an
6 opportunity for me to write a report, and an opportunity
7 for the parties then to comment on that report, and then
8 the Cabinet Secretary making a final decision, so that's
9 usually a couple of months out.

10 We will be having -- receiving technical
11 evidence tonight from those who submitted notices of
12 intent to present technical evidence.

13 The Applicant obviously has several folks
14 presenting technical evidence; the Groundwater Bureau also
15 has folks.

16 I did receive two other submissions, one from
17 Dion Smith and one from Jerome B. Hansen that are titled
18 notices of intent or statements of intent.

19 Is there anyone else who believes they submitted
20 anything along the lines of submitting technical evidence?

21 No.

22 In that case, again, public comment will be
23 received throughout the -- throughout the night. You can
24 also put your public comment in writing and hand it to
25 Cody, and it becomes part of the record as though you

1 spoke it.

2 Please know that if you speak during this
3 hearing -- regardless of whether it is technical comment
4 or non-technical public comment -- others in the room do
5 have an opportunity to cross-examine you, to ask you
6 questions based on your testimony, so just know that
7 that's the case.

8 Thank you, Cody.

9 If you would, please reach for your devices and
10 turn them off or set them on stun. They're quite
11 disruptive when they ring during someone's testimony.

12 All testimony and comment is taken under oath,
13 and as I said, it's subject to cross-examination.

14 We do have the administrative record with us
15 tonight. If you'd like to see something in it, I'm happy
16 to show it to you on a break. It's also available for
17 viewing in the Groundwater Bureau back in Santa Fe when
18 we're done here.

19 Let me ask if there are any purely procedural
20 questions -- purely procedural?

21 Sir, tell us your name. Oh, please, everyone
22 stand to speak, and I will ask counsel for their
23 appearances, but in the meantime, please tell us your
24 name.

25 MR. BROCKMANN: So let me start with that entry

1 of appearance. Jim Brockmann of behalf of El Prado Water
2 & Sanitation District.

3 COURT REPORTER: I'm sorry; on behalf of what?

4 MR. BROCKMANN: El Prado Water & Sanitation
5 District.

6 The question is, as a party who did not submit
7 technical -- a Notice of Intent, but we will have one of
8 our board members talk about concerns in terms of the --
9 the permit generally.

10 So I guess my request is, as a party, that maybe
11 if you're going to receive all the technical evidence
12 first, that we have an opportunity for Mr. Painter to go
13 make a statement first as -- as a party that's been
14 appearing in procedures previously.

15 HEARING OFFICER ORTH: Yes. All right. That's
16 right. I -- I will call out parties as opposed to general
17 public comment.

18 MR. BROCKMANN: Thank you.

19 HEARING OFFICER ORTH: Thank you. So since
20 Mr. Brockmann has kicked us off, will the other counsel
21 please make their appearances? Mr. Domenici?

22 MR. DOMENICI: Good evening, madam. Is this one
23 working? Good evening.

24 MR. BARNES: Yeah, there's a button that you
25 push.

1 HEARING OFFICER ORTH: Yeah.

2 MR. DOMENICI: Good evening, Madam Hearing
3 Officer. Pete Domenici on behalf of the Applicant.

4 HEARING OFFICER ORTH: Okay. Thank you.

5 MR. JOHNSON: Hello, Madam Hearing Officer. I'm
6 Owen Johnson on behalf of the Groundwater Bureau of New
7 Mexico Environment Department.

8 HEARING OFFICER ORTH: Thank you. Any other
9 counsel? No.

10 All right. So I have one -- so the general
11 order set out in the permitting rules is for the Applicant
12 to go first, for the Bureau to go next, and for everyone
13 else then to go in some order after the Applicant and the
14 Bureau.

15 I do have one request that was just made to go
16 out of order based on some extenuating circumstances, and
17 I am always inclined to honor that -- unless, of course,
18 it's being abused, but that's not the case here.

19 So Mr. Domenici, I would ordinarily be calling
20 on you, but I need to hear from Mr. Hansen before we get
21 to you.

22 And while I'm doing that let me ask, is there
23 anyone else who has extenuating circumstances and needs to
24 leave promptly?

25 Okay. Again, I will ask for public comment in

1 between each of the party presentations, and if at some
2 point it becomes extenuating for you, please see Cody, and
3 he'll let me know. All right?

4 So I believe Cody has cued up the PowerPoint
5 here by Mr. Hansen. Where is Mr. Hansen?

6 MR. HANSEN: I'm right here.

7 HEARING OFFICER ORTH: There you are. All
8 right.

9 MR. HANSEN: Is there a pointer? Can I use a --

10 HEARING OFFICER ORTH: Is there a pointer?

11 MR. BARNES: I -- I'm sorry; yeah, I don't have
12 one. I wonder --

13 HEARING OFFICER ORTH: I don't have one.

14 MR. HANSEN: I guess I'll just describe then --
15 try to describe what I'm looking at then.

16 HEARING OFFICER ORTH: All right. So we need to
17 swear in the witness.

18 MR. HANSEN: And how do I change the slide?

19 MR. BARNES: So you can -- you can stay there
20 and I can change it for you or you can come over here
21 and -- and move the slides yourself on the computer. I'm
22 happy to do whatever works for you.

23 MR. HANSEN: I would -- if you wouldn't mind
24 doing that, if that's okay.

25 MR. BARNES: Yeah.

1 MR. HANSEN: Will I need a microphone or
2 anything?

3 HEARING OFFICER ORTH: You do, and we need to
4 swear you in. Would you raise your right hand, please?

5 JEROME B. HANSEN,
6 having been first duly sworn, testified as follows:

7 HEARING OFFICER ORTH: Thank you.

8 MR. BARNES: So we do actually have a clicker,
9 so this -- so on the slides, that's to go next and then to
10 go back.

11 DIRECT TESTIMONY

12 MR. HANSEN: Okay. Great. Thanks, Cody.

13 I'm Jerry Hansen. I would make a request
14 that -- I've got a fair amount of data to present here
15 tonight, and I would make a request that any questions be
16 held till the end, if that's acceptable; if not, that's
17 fine too.

18 HEARING OFFICER ORTH: That is fine. I will ask
19 for questions at the end.

20 MR. HANSEN: Okay. Thank you.

21 HEARING OFFICER ORTH: But please keep -- keep
22 this close to you.

23 MR. HANSEN: Will do. Thank you very much.

24 As I said, I'm Jerry Hansen. I'm a retired
25 petroleum geologist. My wife and I have a house out on

1 the mesa, in the Stagecoach Neighborhood Association.

2 And my graduate studies and my career -- 33-year
3 career -- were --

4 COURT REPORTER: I'm sorry, sir; you're going to
5 have to speak up.

6 MR. HANSEN: -- were focused on the sedimentary
7 basin sequences of rift-related areas in Nevada and
8 Arizona, and these are highly similar to the sediments and
9 sewage that's being discharged into the Rio Grande rift
10 near Taos here.

11 I want to stress that I'm not a hydrologist or a
12 civil engineer, but that I do have significant concerns
13 about the integrity of these cells with regard to the
14 contamination of the groundwater.

15 COURT REPORTER: Could you say that again? I
16 need you to speak up.

17 MR. HANSEN: Say that again?

18 COURT REPORTER: Yeah. I couldn't hear you.

19 MR. HANSEN: Okay. I do have significant
20 concerns about the integrity of the sewage cells,
21 particularly in their relationship to their structural
22 integrity and their relationship to contamination of the
23 groundwater.

24 Although the septic cells that are shown in this
25 Google Earth image in the upper right, you can see that

1 they are very brightly green compared to the rest of the
2 area. It runs sort of northwest/southeast.

3 These are the -- these are the cells in which
4 S & R is permitted to discharge partially-treated septage.
5 They've been doing that since about -- since 1987 until
6 the present.

7 I estimate that 500,000 gallons per year has
8 been run through these cells. For the 32-year life of --
9 of the -- life span of the facility, that amounts to about
10 16 million gallons.

11 That is equivalent to 24 Olympic-size swimming
12 pools full of sewage and sludge that's been run through
13 this essentially four-acre area.

14 You can -- you can see that the -- the area has
15 been subdivided into cells and that there's a number of
16 businesses that impinge upon the cells at this point, and
17 there are -- there are businesses that are nearby as well.

18 For reference, you can see down to the lower
19 left corner, that's the intersection of Tune Drive and
20 US 64 where that little red dot is.

21 In 1987, when the site -- site was first
22 approved, it was remote. This is a 1991 Google Earth
23 image, and you can see that there is just basically
24 nothing out there. There's no -- no houses along Tune
25 Drive. Certainly there was not any at that point.

1 There's no houses to the south or to the east.
2 There's a rudimentary air -- air -- airstrip and then
3 there's the landfill, and that's about it, but by '19 --
4 2019 -- 32 years later -- there are 90-plus new homes and
5 businesses in the area.

6 One other thing I want to point out in that last
7 slide is, the little yellow dot that circles the cells,
8 and I want you to note how it's built over a shallow
9 arroyo.

10 One condition of the permit seems to be that the
11 depth to the water is estimated to be greater than --
12 greater than 500 feet, and therefore it would literally
13 take centuries for the surface effluent to reach the
14 ground --

15 COURT REPORTER: For the -- I'm sorry?

16 MR. HANSEN: -- underground water source.

17 COURT REPORTER: It would take centuries for
18 what?

19 MR. HANSEN: For the effluent to reach the
20 underground water source.

21 There are two problems with this. Some nearby
22 wells are actually less than 500 feet deep -- the water --
23 and it doesn't take into consideration the types of rock
24 layers that comprise the 500 feet.

25 This is a cross section taken from Tony Benson's

1 work on the groundwater geology of the Taos region, and
2 this is a one-well cross section through the Waste
3 Management well, which is the nearest well to the septic
4 field, and it's about 146 feet to the -- to the south of
5 the -- of the sewage cells.

6 There are three types of rocks that this well
7 penetrates. One is the alluvium -- 100 feet of
8 alluvium -- then it penetrated 100 feet of Upper
9 Servilleta Basalt, and then 70 feet of gravel -- sometimes
10 known as the Agua Azul gravels -- and then another 230
11 feet of the middle layer of this area to the basalt.

12 So essentially, two-thirds of the section above
13 the water -- the -- the groundwater table, which there's
14 not really a table here, but the groundwater table is
15 basalt.

16 Oh, the other thing I wanted to point out as
17 well is that, note the way Tony depicts the bedding in
18 the -- in this -- in and around this well bar.

19 This is a cross section that's looking north, so
20 west is on the left and east is on the right, and Tony has
21 the bedding dipping eastward into the fault, a very common
22 way for faults and -- and sediments to form in the -- in
23 these rift-type basins.

24 Well, in my experience, basalts are often highly
25 permeable rocks. Some of the best water wells in this

1 area -- 50 gallons per minute -- are completely in
2 fractured basalt. I personally have seen flow rates near
3 300 gallons per minute from a similar basalt in Nevada.

4 I actually checked the data on this before this
5 hearing and looked at the engineer's report from that day
6 on this well site. He reported 600 gallons per minute.
7 That's essentially a fire hose coming out of -- coming out
8 of the hole.

9 If -- if an rock can give up fluid at a high
10 rate, it can also accept fluid -- like, for example,
11 effluent -- at a high rate also.

12 The permeability of the basalt is from vertical
13 fractures -- called columnar joints -- and from
14 interbedded gravel.

15 As a result, if effluent percolates down to the
16 top layer of the basalt, it encounters a zone of high
17 permeability -- such as 50 gallons per minute -- it can
18 move rapidly through the basalt and downward toward the
19 water table.

20 The alluvium was studied by Duke Engineering
21 and -- Services 2000 -- in a 2000 study, what was called
22 the Taos Impoundment Site.

23 And what they did was essentially do some -- do
24 some drilling and measured the concentration of -- of
25 nitrate and used that as a proxy -- proxy for effluent,

1 and they then developed a series of mathematical models to
2 predict where the depth of the effluent would be with
3 time.

4 I've taken their -- their -- their model of
5 course sand here, and the vertical axis of depth --

6 COURT REPORTER: I'm sorry; the what?

7 MR. HANSEN: I'm sorry.

8 COURT REPORTER: The what? It started with an
9 R.

10 MR. DOMENICI: I think he said course sand.

11 MR. HANSEN: Oh, yeah, I'm sorry. This is
12 their -- they did a number of models on silt, clay, sand,
13 course sand, and that -- and that's where they added it.

14 And the nearest -- well, I -- I -- and on this
15 graph the vertical axis is depth from zero at the top to
16 100 feet down at the bottom, and the concentration goes
17 from high to low on the right side of the horizontal axis.

18 So I just interpolated -- and then they had a
19 series of timing lines that were -- the upper one is 15
20 years, then 25 years, then 50 years, then 75 years, then
21 100 years.

22 I just took their data for course sand and
23 interpolated the 32-year mark, and it comes out to the --
24 the -- saying the depth of the effluent would be about 84
25 feet.

1 Now, their own records say -- go through 30 feet
2 of gravel in that, and if that's the case, if they run
3 into gravel, it might have been deeper -- probably about
4 100 feet, which is about the top of the first basalt.

5 I -- I took a -- I tried to figure out what
6 the -- how deep the effluent would get by looking at a
7 pore volume model.

8 Basically, what I'm trying to do is explain how
9 deep the -- you might have to go in order to get a pore
10 volume of 16 million gallons, and without going through
11 the math, I came up with a depth of about 100 feet -- very
12 similar to what the Duke model did.

13 If it reaches the top of the basalt and it gets
14 through it, the next thing it will hit is these Agua Azul
15 gravels.

16 They are -- there's not a lot written about the
17 Agua Azul gravels, but what I have read says that they can
18 get, you know, fair to good water collection rates --

19 COURT REPORTER: I'm sorry; they can have what?

20 MR. HANSEN: Fair to good water collection
21 rates -- up to 120 gallons per minute.

22 So there's really not -- not much in that
23 section that really indicates that there's anything to
24 retard the movement of effluent down toward the water
25 table in any significant time.

1 And then looking at the shallow aquifer as a
2 whole, based on tritium decay studies of the surface water
3 and groundwater, Drakos concluded that the recharge of the
4 shallow aquifer occurred on a time scale of less than five
5 to ten years.

6 This indicates to me that the gross permeability
7 of the shallow aquifer is relatively large, and like
8 the -- like the groundwater, the effluent -- effluent can
9 move from the cells quickly through the same formations
10 down or toward the water table, so I think the
11 permeability of this section of rock has been somewhat
12 underestimated.

13 There are other permeable pathways for
14 connecting the effluent and the water table. These
15 include -- one important thing is faults and associated
16 open fractures, and the other one is nearby wells.

17 There are faults that have been -- that are in
18 the area that have not been mapped or published. This is
19 what Tony Benson told me last year.

20 He had seen some recent aeromagnetic data flown
21 by USGS, and you can see there are a number of
22 north-trending faults to this area that are not shown on
23 publications. One nearby fault is well exposed on Google
24 Earth.

25 And this -- and I realize this is probably a

1 little bit hard to see in the back there, but the -- the
2 trace of the fault -- that is, the surface expression of
3 the fault -- runs along where the heads of the red arrows
4 are. You can kind of see that delineation maybe best up
5 at the -- up at the top of the figure.

6 The zone itself is -- in this fault is about 50
7 to 70 feet wide, and it's permeable. You can tell that
8 it's permeable because it supports an increased amount of
9 vegetation up in the swale zone.

10 Like where the second arrow up from the bottom,
11 you can see a pretty solid line of vegetation that's more
12 dense than on either side of the delineation.

13 Then up near the -- up near the upper arrow
14 there's actually a bloom of the purple -- of the purple
15 aster that we get this time of year along the fault as
16 well as in the gravel, next to it as well. Plants affect
17 the permeability of these things.

18 Well, this is actually the west edge of the Los
19 Cordovas Fault Zone, and that's a zone about a mile wide
20 that extends to the east of this particular fault and
21 would encompass the area of the -- of the, you know,
22 sewage discharge cells.

23 It was described pretty well by, actually, Jason
24 Herman, I thought, in -- in the -- his -- the deposition
25 of Owen Johnson for the -- and Jason said the faults may

1 extend thousands of feet downward.

2 The facility in an area where the fault is more
3 extensive than previously recognized, and studies show
4 that there is significant fracture in the bedrock, and in
5 general, the fractures are not cemented.

6 To me, this argues that this is not really a
7 good place geologically in which to have a septic cell
8 system which is percolating down toward the groundwater
9 table and can take advantage of fractures and associated
10 permeable fault zones within the rock sequence.

11 Then another possibility for quick connection
12 between the septic lagoons and the water table are nearby
13 wellbores, and this, again, is -- it's a cross section
14 looking northeast from the septic cells toward the Waste
15 Management well.

16 And the reason for this is because of the
17 completion practices of -- of water wells in this area.
18 There's nothing wrong with it. It's a good practice.
19 It's a fine practice -- except when you have potentially
20 effluent flowing through the -- the system.

21 The problem is that -- that water well drillers
22 come out and drill an eight-inch borehole and then they --
23 down to below the water table and to a permeable zone, and
24 then they set casing inside that borehole.

25 In this case they set -- they set five-inch

1 Schedule 40 PVC pipe into the -- into the wellbore. That
2 leaves a ring of void space -- what's called an annulus --
3 between the borehole wall and the casing, and a lot of
4 times the drillers will fill this void space with gravel
5 in what's called a gravel pack.

6 And then in the upper part of the borehole
7 they'll -- they'll put impermeable Zenite about -- a
8 thickness of about 20 feet to -- and then firm it up, and
9 this is to prevent surface contamination of the wellbore
10 on surface water.

11 The problem is, if you have effluent already
12 flowing into the alluvium -- and remember from Tony's
13 cross section that this bend dips toward the east -- if
14 the effluent is flowing toward the east, then there's a
15 chance it can reach this borehole.

16 And the gravel packing is essentially no -- has
17 no effect on retarding the flow of groundwater down to the
18 water table. It happens -- it happens fairly
19 instantaneously.

20 COURT REPORTER: I'm sorry; it would happen?

21 MR. HANSEN: The effluent would flow toward
22 the -- the borehole. If it's flowing down to the dip of
23 the bed and it would have essentially no -- no retardation
24 once it hits the borehole to movement down -- down toward
25 the water table.

1 Now, I don't mean to pick on the Waste
2 Management well here. I, in fact, do not know that that's
3 the way the effluent is -- is moving, but I don't think
4 anybody else is going to tell you, and this is -- this is
5 the problem: It creates additional risk for assessing
6 the -- the hazard in -- in this area.

7 This is the septic system as it looked back in
8 2018 from the south and looking sort of northwest, and you
9 can see in the center of it -- of it is this lush green
10 vegetation -- probably because the -- the cells are damp
11 and they're full of nitrates, which the plants use as
12 fertilizer.

13 In the -- in the right foreground, center
14 foreground, you see a berm that's meant to contain the
15 effluent inside the cells in -- depending on the horizon.

16 You can see the -- the rest of that berm, and in
17 the center is the -- the middle berm, which is the roadway
18 for discharging the effluent down into the cells.

19 Now, I've got a series of Google Earth images of
20 the sewage discharge cells from 1991 to 2016. You can do
21 this on Google Earth. They, in fact, are historical
22 images.

23 And I want to stress that I have not field
24 checked the following observations, and I believe that
25 Department of Environment personnel should be responsible

1 for checking these observations during their site
2 inspections.

3 The first image is from 1991, I believe, and it
4 shows -- it shows that these cells are in the process of
5 being built.

6 They are -- they are being built over this
7 arroyo, which is the dark line that's running from
8 northeast to -- or from the right side down to the left
9 side.

10 And it looks like there was -- at this point
11 there was a real attempt to make functional lagoon systems
12 from these arroyos.

13 Let me go to the next slide. This is 1997 --
14 ten years after the -- the cells were first permitted --
15 and you see the cells above the -- the red box -- box
16 there.

17 That's -- they have a sloping base to them.
18 This is typically the way that many sewage lagoons are --
19 are constructed, and the idea is there's a sloping basin
20 to -- to cut down on wave action.

21 The dark solid black above the arrow is fluid, I
22 believe, and then the light white below -- below it is dry
23 land.

24 So you can see there's no real -- the berm has
25 no real hydrological -- there's a -- there's a hydrologic

1 connection underneath the berm between the two cells,
2 because that line is collinear between the upper and lower
3 cells.

4 That's essentially the edge of a pond, if you
5 will, or -- or a contour level, indicating that it's a
6 contour level on the arroyo and it's dipping in -- it's --
7 it's going from high on the right to -- to -- to low on
8 the left. Again, you can see the arroyo running through
9 that cell.

10 Now, by 2005 -- and I guess I missed that one --
11 by 2005, it looks like there had been -- they have kind of
12 given up on any attempt to make shallow lagoons -- septic
13 lagoons out of this thing, because all of -- all of the
14 cells -- as in this image as well -- are completely
15 vegetated over and full of lush vegetation.

16 These -- these cells are now -- instead of
17 sewage lagoons, they're termed septic discharge cells.

18 In 2009, a dark spot appears in about the
19 location of the -- the arroyo, just outside of the -- the
20 cell -- cell wall, and that dark spot persists throughout
21 the images up until 2016.

22 To me, this seems like it's seepage coming out
23 of the -- out of the sewage cells, and that's the reason
24 it's dark.

25 Note how the cars in the blocked off area for

1 the new auto salvage yard are parked to avoid this spot.

2 I believe it's probably wet and kind of mucky.

3 This is the 2010 image; same thing, cars are
4 parked to avoid this spot, and you can see the intense
5 green vegetation that's occurring within the cell.

6 The same is true in this -- in this one for
7 2011. The cars are parked to avoid the spot. It's --
8 it's brown or -- or dark brown, suggesting it's -- it's
9 kind of damp there.

10 Here's a 2013 image of the site -- of the site,
11 and the dark spot, to my eye, has gotten a bit bigger.
12 You can see it's got the same kind of green vegetation in
13 it that the -- the cells do.

14 Also, if you look just outside the berm there's
15 a line of greenery just below this, just to -- to the
16 outside of the cells. It indicates the cells are leaking,
17 the berms are leaking, and the cells are communicating
18 with that dark spot on the -- on the northeast side.

19 At this point also I -- I noticed -- I start to
20 notice that there's a bunch of hummocky ground within the
21 dark spot. That, to me, indicates that there's some
22 subsidence going on -- ground subsidence going on under
23 here.

24 I studied ground subsidence over coal mines
25 early in my career, and this looks -- this looks like it.

1 In the 2016 image you get the same thing. This
2 is taken in the fall, so the vegetation is a bit more
3 brown, but again, you get hummocky far, and within that
4 area a little bit of a ring structure in the -- in the
5 center of it.

6 Now, I was able to take the 2013 image and the
7 2016 image and use them as a stereopair, and you can see
8 on -- in stereo relief that you can't see otherwise on the
9 images.

10 And you -- you can see that the dark spot is
11 actually lower than the rest of the cells at this point,
12 and the cell just to the -- just to the left of the -- the
13 dark spot -- it's kind of gray -- has some -- has been
14 subsided as well.

15 The -- the cell that's white just to the
16 northwest of that cell has got a really distinct shadow on
17 one -- on the south side of it, indicating that there's a
18 pretty good escarpment on that side of the cell,
19 indicating that that cell has subsided too.

20 So what the -- what -- what I think is going on
21 here is that they're getting subsidence in the -- in the
22 old arroyo in which these cells were sited, and the -- the
23 subsidence is indicative of either movement of dense water
24 down through dry sediments, or perhaps it's an indication
25 of some kind of deep-seated erosional -- subsurface

1 erosional flow that's going on -- say if the flow is going
2 down through the basalt or along the top of the basalt.

3 At any rate, I think that the Environmental
4 division personnel should determine for themselves whether
5 or not near-surface seepage and groundwater subsidence out
6 of the permit area has occurred, and if this is the case,
7 it may be that the structural integrity of the cells is
8 gone, or they may have been used beyond their original
9 design capacity.

10 And it raises a series of other issues too.
11 Number one, if that low spot is the -- is -- if that dark
12 spot is now the low spot for the septic field, is the --
13 is the effluent -- essentially most or a good part of the
14 effluent going -- being disposed of on the adjacent
15 property, which would -- which is out of compliance with
16 the permit, and B, I don't think you can really give a
17 permit to -- to S & R to dispose --

18 COURT REPORTER: Give -- I'm sorry; give a
19 permit -- what?

20 MR. HANSEN: -- to S & R -- the subject -- to
21 dispose of effluent on adjacent property.

22 Also, if the sewage is being disposed of in a
23 small area, has the effluent penetrated deeper -- that is,
24 closer to the water table?

25 And some important things to note are, how deep

1 is the effluent, where is the plume located, and at what
2 speed and what direction is -- is it moving?

3 I think some of these important technical
4 questions can be answered better by -- by geophysical
5 techniques than by drilling test holes.

6 I think that the effluent probably has fairly
7 high conductivity and the surrounding dry dirt has low
8 conductivity, and this would offer a good advantage for
9 some geophysical techniques to take advantage of to map
10 out the -- the effluent.

11 I think the sampling program that uses the
12 drilling technique and taking samples is fine. It gives a
13 pretty good characterization of the site, but it doesn't
14 tell you anything of what's going on outside the site, and
15 that is of critical importance for -- to -- to know to the
16 community, for nearby landowners if they want to drill
17 test boreholes in their area but need to know where this
18 plume is.

19 To recap, the depth of the water could be less
20 than 500 feet. I believe that the permeability is greater
21 than has been assumed, which means the transit time from
22 the surface to the water table is less than had been
23 assumed.

24 One important thing, there are many possible
25 vertical conduits -- faults of the Los Cordovas Fault Zone

1 especially -- and perhaps wellbores as well.

2 As I said, the location, depth, speed, and
3 direction of the plume is unknown, and I think the cells
4 appear to have lost structural integrity.

5 The effluent seems to be leaking off site. Once
6 more, continuing discharge increases the risk of
7 contamination of the shallow aquifer.

8 In conclusion, this groundwater is much more
9 valuable to the public -- and will be more valuable in the
10 event of climate change -- than the few dollars saved by
11 not transporting the sewage to the Taos Regional
12 Wastewater Treatment Plant, as do all the other sewage
13 haulers -- septic haulers in Taos.

14 The quality of the water from the shallow
15 aquifer -- as far as I know -- is still good; therefore, I
16 believe that we have a window of opportunity to avoid
17 contamination, and by we, I mean the community, S & R, and
18 the Environmental Department.

19 If any nearby wells show evidence of
20 contamination, it's too late. We can't wait for another
21 five-to-seven-year permit period to come up on this. I
22 think now is the time to act.

23 I think the -- the permit -- the permit
24 extension needs to be denied and the cleanup and
25 reclamation of the site commenced, and I believe that time

1 here is of the essence.

2 Thank you very much.

3 HEARING OFFICER ORTH: Thank you, Mr. Hansen.

4 MR. HANSEN: And I -- I guess I'll --

5 HEARING OFFICER ORTH: You can --

6 MR. HANSEN: -- I'll take questions.

7 HEARING OFFICER ORTH: -- you can continue
8 standing there or you can sit right next to where you're
9 standing for a moment while I ask people for questions.

10 MR. HANSEN: Okay. I'll just stand, if that's
11 all right.

12 HEARING OFFICER ORTH: All right. Mr. Domenici,
13 questions?

14 MR. DOMENICI: I'd like to stand too.

15 HEARING OFFICER ORTH: Yes, please.

16 MR. HANSEN: Okay.

17 HEARING OFFICER ORTH: Please, everyone sit or
18 stand as you're comfortable.

19 MR. DOMENICI: Sir, I want to make sure you can
20 hear me.

21 MR. BROCKMANN: There's a microphone.

22 MR. DOMENICI: Here's a microphone right here.

23 Thank you.

24 CROSS-EXAMINATION

25 BY MR. DOMENICI:

1 Q. My understanding is you're not testifying as a
2 hydrologist, correct?

3 A. That's correct.

4 Q. You're not testifying as a civil engineer,
5 correct?

6 A. Right.

7 Q. When -- when did you review the New Mexico
8 Environment Department file on this site to make sure you
9 had all of the data available?

10 A. I asked Jason Herman about that last year, and
11 that was the only thing he sent me.

12 Q. I'm not sure -- when you say that -- that, I'm
13 not sure what --

14 A. The Duke -- the Duke study --

15 Q. So --

16 A. -- is the only thing he had available.

17 Q. So it's fair to say you haven't seen anything
18 else in the New Mexico Environment Department file except
19 the Duke study, correct?

20 A. That's right.

21 Q. Did you review the Notice of Intent filed by the
22 hydrologist for S & R?

23 A. You know, I didn't get a copy of that. I --
24 I -- I was informed of that just on -- on the way in
25 tonight, so I did not -- I did not get a chance to look at

1 the results of that sampling.

2 Jason showed me briefly what -- what the results
3 were before the meeting. That's it.

4 Q. And have you -- do you understand what the
5 proposal is?

6 A. As -- as far as I understood, it was to drill
7 several wells -- four to five wells -- on the property and
8 assess various -- take samples every five feet to a depth
9 of sixty feet, I believe, and assess the presence of
10 various chemicals within -- within those samples.

11 Q. So that would be the proposal by the Environment
12 Department?

13 A. Yeah, that's correct.

14 Q. Now, have you seen the proposal by S & R?

15 A. Well, if it was in that same publication or same
16 statement of intent testimony, then I didn't get it, no.

17 Q. So let me explain it to you and see if this
18 addresses any of your concerns.

19 A. Okay.

20 Q. So what S & R has proposed is to drill a single
21 borehole to the basalt -- not stopping at 60 feet, but all
22 the way to the basalt -- and to characterize the soil
23 at -- where -- where the soil changes, to take a physical
24 sample so they have an actual field sampling-based
25 lithology to the basalt.

1 A. Every five feet or so?

2 Q. Every --

3 COURT REPORTER: I'm sorry; what did you say,
4 sir?

5 THE WITNESS: Every five feet or so?

6 BY MR. DOMENICI:

7 Q. Every time the soil changes.

8 A. Okay.

9 Q. So --

10 A. The soil changes?

11 Q. Yes. So they feel like five feet -- and will
12 testify to this -- is not useful whatsoever, but that --

13 A. Okay.

14 Q. -- where the soil changes, that would be useful.

15 A. Yeah. And that would be established by the
16 geologist on site?

17 Q. Correct. So -- and then at 100 -- therefore,
18 even if they drill out the contamination at 40 feet, 50
19 feet, there will be a baseline lithology below wherever
20 they drill out all the way to the basalt.

21 A. Okay.

22 Q. Would that be -- well, you would agree that
23 actual information on this site would be better than any
24 data that you have on the site, correct?

25 A. Yeah. I -- I didn't have any data on the site.

1 Once again, when I asked Jason for data last year, I
2 didn't -- I wasn't able to get any of the monitoring
3 reports. And I don't know why that was, but apparently --
4 apparently they -- he does have them now.

5 Q. And the monitoring reports would provide actual
6 data on the site that would show whatever was monitored,
7 correct?

8 A. Yeah. I think that would be real helpful
9 information to have in terms of knowing where the -- this
10 16 million gallons of effluent went.

11 Q. So would you agree, based on what you understand
12 from either discussions or from your aerial photos or
13 your -- your knowledge about this permit, that at some
14 point in time -- most likely in the late '90s -- the
15 lagoon system was discontinued and a series of cells -- as
16 were depicted on your aerials -- with shallow effluent
17 disposal was -- was used from that time forward?

18 A. Yeah, I think that's -- I think that's what
19 happened.

20 Q. And if I understand correctly -- and if you
21 could put up number six.

22 MR. DOMENICI: Or if you could?

23 A. Which -- which one?

24 Q. I think it's number six. It's the -- it's the
25 one that shows the effluent moving sideways.

1 A. Is it that one?

2 Q. Yes. So that -- and I want to compare that with
3 the statement you made about sort of your assumptions, if
4 you will.

5 This is on your Exhibit 1. It's the rough
6 estimate of depth of effluent based on pore volume.

7 A. Right.

8 Q. And you have a statement that, evaporation
9 equals precipitation.

10 A. Yeah. I didn't know how to quantify that. All
11 I know is that there are no lakes being created now and --
12 and no lakes are drying up now, so evaporation roughly
13 equals precipitation.

14 Q. Do you know what the evaporation is in
15 Santa Fe -- the annual evaporation is?

16 A. No, I don't.

17 Q. Do you know what it is in Angel Fire?

18 A. It's probably less than Angel Fire. I don't
19 know.

20 Q. Correct. And would -- do you know if Taos -- if
21 Taos is less or greater than Santa Fe?

22 A. I -- I wouldn't know about that. I presume
23 Santa Fe would have a greater evaporation rate than --
24 than Taos would.

25 Q. And does wind affect evaporation?

1 A. Sure.

2 Q. Does vegetation affect the amount of loading
3 that -- from the cells that goes into your rough estimate
4 of depth of effluent?

5 A. No, I don't think so.

6 Q. So you don't think plants using water that is
7 applied at a shallow level -- less than three inches --
8 and the aerial you have shows plants that I noticed; is
9 that correct?

10 A. Right.

11 Q. So you don't think that those -- the water that
12 those plants take deprives or limits the water that's
13 going into the subsurface? Is that your testimony, sir?

14 A. I think it would transpire some water out
15 through plants, yes. I don't have an idea. They're
16 pretty lush plants. I'll tell you that much.

17 Q. So we have lush plants. We have -- I want you
18 to assume there will be testimony that the evaporation in
19 Taos is 15 inches per year.

20 A. Okay.

21 Q. What --

22 A. And -- and what's the rainfall?

23 Q. I was going to ask you, because you're using it.
24 Do you know the rainfall?

25 A. I would assume it's about 14 inches a year.

1 Q. So if -- if you -- so if you're saying, just
2 based on that testimony -- well, I'm asking you to assume
3 50 inches of evaporation and 14 inches of precipitation,
4 that --

5 A. Fifteen and -- fifteen and fourteen, right?

6 Q. Not 15, 5-0.

7 A. Oh, no, I -- you asked me what the --

8 Q. I'm asking you to assume there will be testimony
9 that evaporation in Santa Fe is 60 inches per year -- 6-0.

10 A. No, no, no. I meant 15, 1-5 --

11 Q. Okay. Well --

12 A. -- not 5-0.

13 Q. Okay. Well, you're an expert. I'm entitled to
14 ask you to agree with my assumptions and then answer the
15 question, so assume there is 50 inches of evaporation,
16 please --

17 A. Okay.

18 Q. -- and there's 14 inches of precipitation.

19 A. Right.

20 Q. Okay. There is more than three times the amount
21 of evaporation than there is precipitation.

22 A. That's right.

23 Q. And then if there's plant uptake from these lush
24 plants that you just described, that would further reduce
25 the amount of effluent that goes into the subsurface,

1 correct?

2 A. Right.

3 Q. So your --

4 A. May I ask you what the actual evaporation and --
5 and transpiration rates are --

6 COURT REPORTER: I'm sorry --

7 THE WITNESS: I'm sorry --

8 COURT REPORTER: -- the actual evaporation --

9 THE WITNESS: -- and transpiration --

10 BY MR. DOMENICI:

11 Q. The testimony will be --

12 A. -- and -- and precipitation? Excuse me.

13 Q. Well, I -- I'm not really testifying, but I can
14 tell you what people will say, since you're -- you're
15 going to have to leave early, I guess.

16 So there will be testimony that the evaporation
17 is 50 inches per year from an expert witness --

18 A. Okay.

19 Q. -- who -- and let me ask it this way: When in
20 your career have you calculated evaporation as opposed to
21 precipitation?

22 A. I -- I have not done that, no.

23 Q. So you're not qualified -- oh, excuse me --

24 you're not qualified to make a statement on your
25 fundamental estimate of depth of effluent that evaporation

1 equals precipitation, correct?

2 A. That was an assumption, yes.

3 Q. And if that assumption is wrong, the rest of
4 your calculation would be impacted, correct?

5 A. Right. But it's just a rough calculation too,
6 you know. I mean, I assume a bunch of other things in
7 that -- in that as well, like a quarter of this -- of the
8 section is permeable, effectively -- excuse me,
9 effectively permeable, so that -- that's another factor
10 that could be dealt with as well.

11 Q. Meaning it's an assumption that -- that is --

12 A. It's an assumption, yes.

13 Q. -- that is not based on data or analysis?

14 A. No. I looked at the air photos, the imagery,
15 and said about a third of the -- the area of the mesa --
16 or about a quarter of the mesa is arroyo -- channelized
17 arroyo, and that's -- you've probably got like 25 percent.

18 COURT REPORTER: I'm sorry; that's what?

19 THE WITNESS: Is channelized arroyo, which would
20 be effectively permeable.

21 A. The rest of the 75 percent will not.

22 Q. Okay. So in that one you had some data.

23 You were analyzing photographs?

24 A. Yes.

25 Q. But on the evaporation equals precipitation, if

1 I understand correctly, you don't know either of those two
2 items, evaporation or precipitation?

3 A. That's correct.

4 Q. So if the volume -- so, of course, you would
5 agree with me if the evaporation is higher, then the
6 amount of effluent that would move into the subsurface
7 would be reduced?

8 A. That's right.

9 Q. And if the evaporation and -- and the -- the
10 transpiration is as high as 70 percent, then that would
11 reduce your volume that you've used -- calculated over
12 those 32 years by 70 percent?

13 A. That -- that's correct. There -- as I say,
14 there are a number of different factors in there which
15 requires an estimation on.

16 Like I also estimated that a quarter of the --
17 the septage doesn't go vertically --

18 COURT REPORTER: I'm sorry; a quarter of the
19 what?

20 THE WITNESS: The sewage.

21 A. -- does not go vertically but goes horizontally.
22 That may be -- that may be -- not be right as well.

23 Q. In order for the septage to move horizontally --
24 I think you used the word flow -- it would have to -- the
25 amount of effluent that would have to be flowing, it would

1 have to be sufficient to create a flow for there to be
2 lateral movement, correct?

3 A. Right, and -- and I think there has been some
4 lateral movement just based on what -- what I've seen on
5 the air photos --

6 Q. And that's --

7 A. -- in the channel.

8 Q. And -- but nowhere else but the channel,
9 correct?

10 A. No, I haven't seen that.

11 Q. This -- so really when you're -- this is the --
12 this is the view of -- the depiction -- if I understand
13 correctly -- so you are showing -- if I understand you
14 correctly, you're showing that because there is brown sand
15 and clay acting as a barrier, the effluent would --

16 A. No, I'm not saying that. The brown sand and
17 clay is -- are the Agua Azul gravel, and they may be quite
18 permeable.

19 Q. Then why would the effluent not go vertical if
20 there -- if it's flowing into permeable material?

21 A. You know, the situation is complicated in the
22 alluvium. It's not just one alluvium. It's not just one
23 particular grain size of -- of stuff.

24 It has clay layers in it which, you know, are
25 impermeable and might direct the flow laterally. There

1 are a number -- a number of things like that.

2 I thought the alluvium might be the -- the
3 thing -- the most impermeable thing that might retard
4 the -- the sewage moving along, but both I and the Duke
5 study say that it will move down to somewhere close to the
6 top of the first basalt.

7 Q. But you drafted this chart and you've expressed
8 some level of alarm or concern that this -- what I would
9 contend is significantly less effluent than you've --
10 you've identified because you -- of evaporation.

11 You've drawn a chart that basically seems to
12 have -- be inconsistent with the rest of your report.

13 This chart is showing lateral effluent movement;
14 this table on Exhibit 1 and the Duke study is showing
15 vertical, correct?

16 A. That's correct, and I think this is -- this is
17 hypothetical. I think nobody really knows where the
18 effluent is going, and that's part of the risk of the --
19 the continuation of this project.

20 I mean, it's one thing to -- to develop some
21 hypothetical models to try and explain what -- what --
22 what you think is going on there and another thing to get
23 some actual data to find out what truly is going on with
24 the effluent.

25 To my knowledge, nobody else has even made an

1 estimate of how much effluent has gone into the ground.

2 Q. How much what?

3 A. Of how much effluent has been discharged, excuse
4 me.

5 Q. Well, I think we're going to hear testimony from
6 the witness who I interviewed recently that he's using the
7 same assumption as you -- as you, that all effluent goes
8 into the ground, and then I want to read you testimony
9 from his --

10 A. And how -- how much is that?

11 Q. I don't think he gave a number, but I -- we have
12 the monthly numbers, so it's -- I think you're about right
13 from my view of --

14 A. Well --

15 Q. -- of -- of the total effluent that's been put
16 on the site.

17 A. Yeah. It's difficult to -- to ascertain that,
18 because the only records that I could get ahold of were
19 records from Jason about -- and they were from the first
20 part of -- the first half of last year, and I -- I -- I
21 think he told me that records before that were not really
22 available.

23 Q. Well, I have the records from 2014. They show
24 the -- what they do is they calculate by the tickets --

25 A. Sure.

1 Q. -- how much is done on a monthly basis, and then
2 they -- they add those up semiannually, and then you have
3 the semiannually and you get an annual.

4 A. Right.

5 Q. And that -- did you see that --

6 COURT REPORTER: Sir, could you speak into the
7 microphone a little?

8 BY MR. DOMENICI:

9 Q. Did you see that data from 2014, sir?

10 A. I didn't. That was the only data that Jason had
11 available at that -- at that time. Do you have more data
12 besides just 2014 as well?

13 Q. Well, I chose which data I wanted to bring,
14 because -- because it's -- because it's not my job to
15 summarize the data.

16 I'm going to cross-examine the State as to why
17 they haven't summarized the data, but I will tell you and
18 I'm going to read you the testimony of the predecessor of
19 Jason who testified under oath that in 2002 most of the
20 water was dealt with mostly by evaporation.

21 And I assume you're not aware of that and you're
22 not aware that that -- that determination was actually
23 accepted by the hearing officer in her report and was then
24 used as a basis for that permit and every one since.

25 A. That was 2002?

1 Q. Yes.

2 A. No, I didn't hear that. I'm sorry.

3 Q. So are you familiar with Fred Kalish?

4 A. No.

5 COURT REPORTER: I'm sorry; with who?

6 A. No, sir.

7 BY MR. DOMENICI:

8 Q. Are you familiar with Fred Kalish?

9 A. (No response.)

10 Q. I'm going to hand you my book of exhibits.

11 MR. DOMENICI: And -- and -- and what I'm doing
12 on these, Madam Hearing Officer, so I listed a large
13 number of Bates numbered pages as possible exhibits for
14 cross-examination, and I'm assuming you have a copy of
15 that, because I have one if you don't.

16 HEARING OFFICER ORTH: Okay. Do I need it right
17 now? I'm --

18 MR. DOMENICI: If you -- if you need it.

19 HEARING OFFICER ORTH: Okay.

20 MR. DOMENICI: If you feel like you need it.

21 HEARING OFFICER ORTH: Okay.

22 BY MR. DOMENICI:

23 Q. So -- so let me ask you, for example, to take a
24 look at NMED 955. So, for example, that has a cell
25 number.

1 Can you see the cell number?

2 A. Yeah.

3 Q. So -- and then it has monthly reports, and that
4 particular cell received no water --

5 COURT REPORTER: No what?

6 MR. DOMENICI: No water.

7 BY MR. DOMENICI:

8 Q. -- so that verifies that that cell received
9 nothing in that time period.

10 A. Okay.

11 Q. Now, if you turn the page --

12 A. This is cell 14?

13 Q. So turn it again. Actually, go back, if you
14 will. That's where the bigger cells are.

15 HEARING OFFICER ORTH: So that I have it,
16 Mr. Domenici --

17 MR. DOMENICI: One more.

18 HEARING OFFICER ORTH: -- 955 was cell 13?

19 MR. DOMENICI: Yes, ma'am.

20 HEARING OFFICER ORTH: Okay.

21 MR. DOMENICI: And so we're moving backwards to
22 find the -- the cells that received.

23 BY MR. DOMENICI:

24 Q. There's cell 11.

25 How many gallons did that receive in 2018?

1 A. It looks like around about 49,000. Forty-nine
2 thousand it looks like.

3 Q. Okay. And if I understand correctly, you
4 haven't seen these documents?

5 A. I have not, no. I didn't know they existed.

6 Q. Cell-by-cell information as to how much is
7 disposed of over a year, correct -- you haven't seen
8 those?

9 A. Right. And then these run for -- you just
10 picked 2014 as an example?

11 Q. Correct.

12 A. There is data for --

13 Q. There is -- well, I have 2018, and supposedly we
14 can compare those two years and see how the cells might
15 have been used differently.

16 A. What I meant was, do you have data from the
17 beginning, from 1987?

18 Q. Well, no, because they started using the cells
19 when they got a -- they -- that wasn't part of the
20 original permit. The original permit was lagoons, as
21 you've stated.

22 A. Right.

23 Q. So the cells came in somewhere between '99 and
24 2002, and I can't tell if NMED has that data or not
25 either.

1 A. Yeah. What -- what -- I'm sorry; I don't mean
2 to derail you here, but why was the decision made to -- to
3 convert them into sewage discharge cells from septic
4 lagoons?

5 Q. To evaporate. Exactly the assumption that
6 you've discarded, that was the exact reason was to enhance
7 significantly the evaporation which had been taking place
8 since 2000 or so, and your aeriels will verify that there
9 are cells since that date.

10 A. That's correct.

11 Q. And the requirement in those permits was no more
12 than three inches of disposal at a time in these cells.

13 A. Yeah. It's hard for me to understand why that
14 stuff was not buried from a -- from a public health
15 standpoint.

16 Q. But I think -- I think we can agree now, can't
17 we, that there's been a deliberate effort for almost two
18 decades to evaporate significant portions of the septage,
19 and your assumption is that there's been no evaporation,
20 correct?

21 A. The evaporation equals precipitation --

22 COURT REPORTER: I'm sorry; you're going to have
23 to state --

24 THE WITNESS: Evaporation equals precipitation.
25 That's my assumption.

1 BY MR. DOMENICI:

2 Q. Which zeros out and makes it -- effectively
3 means there's no evaporation of any of the material put in
4 the cells; that's your assumption?

5 A. That's right. It pretty much goes down in the
6 cells.

7 Q. So that -- your assumption is based on something
8 that was deliberately targeted -- more evaporation -- for
9 two decades; your assumption is directly contrary to how
10 this facility has been regulated, permitted, and operated
11 for two decades, correct?

12 A. That's correct, but I don't think there's
13 anything in the permits that say anything about
14 evaporation or plant life or anything like that. They
15 don't say that you need to have plant life in the permit,
16 as far as I know.

17 Q. They don't prohibit it, though?

18 A. They don't -- they don't prohibit it, but
19 there's nothing in there to say that these cells are meant
20 to be evaporative -- evaporative cells, as far as I can
21 tell. This isn't the permit.

22 Q. I'm talking about testimony here, and just like
23 today, the witness comes and states -- it's under oath --
24 and testifies this is mostly evaporative.

25 A. Okay. Why doesn't it say that in the permit?

1 Q. Well, why would it need to? What -- do all
2 the -- do you think all the backup analysis should be in
3 the permit?

4 I -- I don't necessarily disagree with that.

5 A. If that was the case, it would seem to me that
6 they would disallow cells without vegetation in them.

7 Q. Cells without?

8 A. Yeah. If they didn't have any -- if they didn't
9 have any vegetation in them, then the effluent would --
10 would not evaporate and would go straight into the ground.

11 There's no provision in the permit for something
12 like that.

13 Q. Sir, I know we're getting far afield of maybe
14 what your expertise is, so I won't --

15 A. Got you.

16 Q. -- go into it with you too much, but is it your
17 testimony that there cannot be evaporation if there's not
18 plant growth?

19 A. No, I think you're right about that.

20 Q. So --

21 A. Have the plants been selected to -- to -- for
22 optimal transpiration?

23 Q. Do you think it would be a good idea to put a
24 condition that says the cells need to be vegetated?

25 A. If that's the purpose of the cell is to

1 transpire stuff out, I think it would be.

2 Q. And would that address your concerns about the
3 amount of effluent that's flowing into the subsurface if
4 there was a study, for example, that shows 75, 80 percent
5 of this material never goes below the surface? Would that
6 address most of your concerns?

7 A. I'd like to see it, sure.

8 Q. But it would, correct?

9 A. It -- it would help. I think you also still
10 have to explain the subsidence in the ground that's going
11 on, for example, as well. It suggests there's some fairly
12 deep-seated movement of the material underground.

13 Q. Well, you haven't measured the subsidence,
14 correct?

15 A. I -- I made it a point not to go out to any of
16 these sites, but just looking at the airflow --

17 COURT REPORTER: I'm sorry; could you --

18 THE WITNESS: I'm sorry.

19 A. -- just looking at the airflow because it looks
20 like it could be significant.

21 Q. So let me ask you to turn to page 771 out of my
22 numbers, so it's going -- it's going to go this way. If I
23 could help you.

24 A. Sure. Right.

25 Q. There it is. I'm looking at the second full

1 paragraph, this paragraph, sir.

2 Do you see the sentence second from the last --
3 there you go -- in that paragraph that says, loss is
4 primarily evaporative, and that says, Mr. Kalish agreed?

5 A. Yes.

6 Q. Do you know any reason why he would have been
7 incorrect in that statement that he made under oath after
8 having been in charge of this site for many years?

9 A. I -- I don't know of any reason why. He could
10 be incorrect. I'm just surprised that there is no mention
11 of it in any of the permit stuff.

12 So that's -- these are primarily evaporative --

13 COURT REPORTER: I'm sorry?

14 THE WITNESS: These cells are primarily not
15 septic discharge cells but evaporative transpiration
16 cells.

17 BY MR. DOMENICI:

18 Q. Well, you would agree if they are, in fact,
19 primarily evaporative -- or the losses are primarily due
20 to evaporation -- which is what the statement says -- you
21 would agree that would make it much more difficult for
22 there to be sufficient effluent to flow in the upper part
23 of the wellbore?

24 A. It'd make it more different -- difficult, yes,
25 but I think it only has a flow rate of 32 feet a year to

1 reach that wellbore, and it hasn't --

2 COURT REPORTER: Reach that what?

3 THE WITNESS: To reach that wellbore.

4 BY MR. DOMENICI:

5 Q. But it has to be enough water or liquid to,
6 quote, flow, and so my question is, how much water needs
7 to be in that upper section that you depict effluent
8 moving laterally, how much water needs to be in there for
9 it to move laterally, or are you qualified to answer that?

10 A. No, I -- I -- I'm not a hydrologist on that
11 point.

12 Q. So that slide number six is really without
13 scientific basis, correct, because you can't -- you don't
14 know how much effluent went into the -- those upper layers
15 and you don't know how much would be necessary to flow out
16 of it, correct?

17 A. That's correct. I don't know any of those --
18 any of those terms, but it's -- it's -- it's hypothetical
19 as well. You -- you can't say that it hasn't happened.

20 Q. So most of your analysis, it would seem to me,
21 would be hypothetical and worse case; would that be
22 correct?

23 A. I am concerned about the damage to the shallow
24 aquifer by -- by 16 million gallons of effluent over a
25 period of 32 years.

1 Q. And if the testimony is it's four million or --
2 as opposed to sixteen, your concerns would be greatly
3 reduced, correct?

4 A. Greatly reduced, but not -- not unconcerned.

5 Q. So if you could look at some of your aerials
6 that you are using to show -- this is Figure 16 -- to show
7 various things.

8 A. This one -- that one right there.

9 Q. Right. So looking at that, because you -- I
10 think you testified businesses grew up around this site?

11 A. They did.

12 Q. And the business -- what I see are a lot of
13 cars. On the -- on the right side and on the left corner,
14 I see a lot of cars.

15 A. Right.

16 Q. Are those salvage businesses -- salvage
17 auto-type businesses?

18 A. Yes, they are. And then to the southeast is the
19 Waste Management stuff.

20 Q. So the businesses you're talking about -- just
21 so the record is crystal clear -- are two salvage yards
22 and a Waste Management -- is that a transfer station, or
23 do you know what Waste Management does there?

24 A. No.

25 Q. Okay. And then have you looked at the storm

1 water plans for each of these salvage yards to see where
2 they direct the flow of -- of rainfall as pursuant to some
3 type of storm water plan that has grades, directs flow to
4 certain places?

5 A. I have not.

6 Q. Do you know if the store -- the salvage lot on
7 the right would be required to have an area within its
8 property to impound storm water in order to operate?

9 A. I assume it probably would.

10 Q. Do you have any reason one way or another to
11 know whether or not the place that's dark green with -- it
12 has an arrow -- red arrow -- pointing at it, if that is
13 designated as their storm water retention area pursuant to
14 their storm water management plan?

15 A. I don't know that.

16 Q. Are you able to tell from this photo if that is
17 lower than -- than the dry portions of the salvage yard?

18 A. With stereopair --

19 COURT REPORTER: I'm sorry; could you say that
20 again?

21 THE WITNESS: Excuse me.

22 A. With -- with stereopair photographs, you can
23 tell that it's lower than the rest of the salvage yard.

24 Q. So runoff from the salvage yard, unless
25 something blocked it, would tend to go to the lowest spot

1 on the salvage yard, correct?

2 A. Yes, it would, as would some of the sewage from
3 the -- from the cells as well.

4 Q. Do you know how many acres this salvage yard is?

5 A. No.

6 Q. Do you know how many acres annual -- this is a
7 question you asked me, so I'll ask you -- do you know how
8 many annual inches over how many acres of that salvage
9 yard could be directed to flow into the area that you have
10 your arrow pointed to?

11 A. No, I don't.

12 Q. And you would agree -- or do you know if the
13 salvage yard on the right -- left side would also have to
14 have a storm water management plan?

15 A. I assumed it would.

16 Q. And I understood your earlier aerials, you were
17 concerned with an arroyo that ran across sort of the --
18 the bottom edge of the cars on the -- on the left side and
19 then it went underneath the site and came out where the
20 dark spot is on -- on the right, correct?

21 A. That's right.

22 Q. And -- but as the photos continued, I don't see
23 any of that indication of that arroyo or that green visual
24 that you relied on to claim there was an arroyo.

25 They don't continue into this time period,

1 correct?

2 A. Well, they've been -- they've been bleeding off,
3 so it's hard to tell, but I think the gravels that are
4 underneath that still remain, and that's the stuff that
5 would be permeable.

6 Q. There's nothing that you can tell off these
7 photos to a scientific certainty that there is any kind of
8 impact on the -- on the area to the left of the site that
9 previously showed dark coloration and you described as a
10 lagoon, there's nothing on these aerials to show that
11 there continues to be any impact there from the site,
12 correct?

13 A. The only thing might be kind of a green strip
14 outside the berm, and there -- there -- on the next --
15 on -- on the next slide there's a round spot that's in the
16 area of that arroyo, but that looks to me to be a mound
17 instead of a pit.

18 Q. So that wouldn't have any -- is that the 2013
19 one? That's the next --

20 A. Yeah.

21 Q. So that's --

22 A. Or that's the 2016 one.

23 Q. Okay. Well, you were looking at 2016. The --
24 the one that that is -- that's --

25 A. That's 2013.

1 Q. Okay. So on --

2 A. There's 2016. I guess the other question is, on
3 the later air photos of this area, it looks like they're
4 filling that in. Why would they be filling that in if
5 it's their wastewater impoundment site?

6 Q. When you say they, I just want to be clear.
7 Who's they?

8 A. The operator.

9 Q. And --

10 A. And I'm sorry I don't have a --

11 Q. That's fine.

12 A. -- photo of that.

13 Q. Why would the salvage yard build itself on top
14 of an arroyo? Do you have an explanation for that?

15 A. It's -- it's not a well-defined arroyo. I'll
16 say that much. It's more of a swale in the ground, but
17 I -- I do think it controls some of the downward movement
18 of the sewage.

19 Q. Earlier I thought you testified this was a
20 channelized arroyo. That was your testimony.

21 Are you changing that?

22 A. No.

23 Q. Why would the salvage yard build upon a
24 channelized arroyo?

25 A. You know, I have no idea. It's their acreage.

1 Q. Maybe it's not channelized and maybe it's not an
2 arroyo.

3 Is that possible?

4 A. Well, it certainly looks like an arroyo on some
5 of the earlier images.

6 Q. And it disappeared on the --

7 A. As they --

8 Q. -- later ones?

9 A. -- as they developed it and planted it over and
10 put in an evapotranspiration sewage cell set on top of
11 it, yes.

12 Q. Where did that -- what does that -- I mean, in
13 my mind, an arroyo captures a certain amount of flow based
14 on the hydrology. You probably know that. That's kind of
15 basic.

16 Where does that water go on the later -- in the
17 later years? Where did that water -- which direction did
18 the arroyo flow, first of all?

19 COURT REPORTER: I'm sorry; which direction --

20 MR. DOMENICI: -- direction is the arroyo
21 flowing.

22 A. Southwest.

23 Q. And how does that -- how does that show up on
24 this chart? That would be from left to right?

25 A. No, no, it flows from right to left.

1 Q. Okay.

2 A. It's flowing southwest.

3 Q. Okay. So this is -- this is north?

4 A. That's right.

5 Q. Okay. So where did that -- where did that water
6 go that was shown in the earlier photos?

7 A. (No response.)

8 Q. That was a -- I think you put -- you showed it
9 as an arroyo before anything happened here, right?

10 A. Right.

11 Q. Which would mean the natural state of things,
12 that water would need to go through that direction and
13 through that arroyo?

14 A. Right.

15 Q. Where does that water go now -- if you know?

16 A. Well, it looks like it impounds -- that would be
17 a consideration -- it impounds against the sewage site.

18 COURT REPORTER: I'm sorry; it --

19 THE WITNESS: It would impound against the
20 sewage site.

21 BY MR. DOMENICI:

22 Q. Which would account for why there's a green area
23 on the salvage yard, because the arroyo is being
24 impounded, if that's how I understand your testimony?

25 A. Yeah. There are -- in some of the cells it

1 looks like there's some subsidence there as well. They
2 are not -- I don't -- I don't believe there are --

3 COURT REPORTER: I'm sorry --

4 THE WITNESS: I'm sorry.

5 COURT REPORTER: -- I didn't hear your answer.

6 A. There are -- it looks like there's subsidence
7 within the cells as well, and that's not -- doesn't have
8 anything to do with the impoundment of water on -- on
9 the -- on the salvage yard.

10 And specifically the one I'm talking about is
11 the one without vegetation on the left-hand side in the
12 center of the septic cell.

13 Q. Sir, are you challenging the stipulated finding
14 that the New Mexico Environment Department presented to a
15 hearing officer with all testimony under oath that states,
16 site conditions, depth to groundwater at the site is
17 approximately 500 to 600 feet below the surface?

18 Are you challenging that, and do you have a
19 technical basis to do that?

20 A. I think that if you conjure up the data on the
21 water table or potentiometric surface, you can make a case
22 that it's less than 500 feet. It doesn't mean that that
23 conjuring is -- is right, but you can make a case that it
24 is.

25 Q. Where is it less than 500 feet?

1 A. In the area of the septic cells.

2 Q. And what is the depth?

3 A. Well, that contour -- contour set said 475.

4 COURT REPORTER: That contour what?

5 THE WITNESS: Set that I gave.

6 BY MR. DOMENICI:

7 Q. So --

8 HEARING OFFICER ORTH: So Mr. Domenici, you --
9 you established at the beginning of your cross-examination
10 that Mr. Hansen is not testifying as a hydrologist, and so
11 I'm just not inclined to pursue this any further.

12 MR. DOMENICI: Let me see if I have anything
13 that wouldn't be hydraulic -- hydrologic.

14 HEARING OFFICER ORTH: Thank you.

15 BY MR. DOMENICI:

16 Q. Where did you get the brown -- the brown sand
17 and clay that you used on Figure 6?

18 COURT REPORTER: I'm sorry; where did you get
19 the brown --

20 MR. DOMENICI: Get the depiction of the brown
21 sand and clay here.

22 Q. Where did that come from?

23 A. Probably from the groundwater geology of the
24 Taos region from Tony Benson's paper in 2004.

25 Q. Which you have relied on, correct?

1 A. Yes.

2 Q. You've mentioned his name several times.

3 A. He's sort of the expert on groundwater geology
4 around here.

5 Q. So your testimony -- well, let me skip that.

6 To your knowledge, there's no soil data on
7 the -- the area below the red line up on your Exhibit --
8 your Figure 16, so we don't know if there's any nitrates
9 in that soil or not, correct?

10 A. That's correct. And as -- and I think the
11 inspection of the site -- and particularly stuff like
12 that -- should be done by the Department of Environment
13 personnel.

14 MR. DOMENICI: That's all I have. Thank you.

15 HEARING OFFICER ORTH: Thank you, Mr. Domenici.

16 I trust some of the rest of you might have
17 cross-examination questions, but we need a break, so let's
18 take a ten-minute break. We'll return to your
19 cross-examination, Mr. Hansen.

20 Please help yourself to snacks.

21 (Recess was held from 7:02 p.m. until 7:15 p.m.)

22 HEARING OFFICER ORTH: Let's come back from the
23 break, please.

24 Before we took a short break, Mr. Domenici had
25 finished his questions of Mr. Hansen.

1 Mr. Johnson, do you have questions of
2 Mr. Hansen?

3 MR. JOHNSON: I do.

4 HEARING OFFICER ORTH: All right. Whenever
5 you're ready.

6 MR. JOHNSON: Okay. Thank you.

7 CROSS-EXAMINATION

8 BY MR. JOHNSON:

9 Q. Hi, Mr. Hansen. Thank you for your testimony.
10 I wanted to ask you about the draft permit as it is
11 currently written by the Department.

12 Did you get a chance to read through it?

13 A. Yeah. I didn't read it in-depth.

14 Q. But you saw the conditions that talk about what
15 the Department would like to do as far as exploring the --
16 the subsurface with the boreholes?

17 A. Yeah, I did see that.

18 Q. Okay. And when you were giving your testimony,
19 you said that -- I believe it was aeromagnetic or
20 something of that sort would be the very best way to
21 determine what's going on subsurface?

22 A. Well, not aeromagnetic so much. That -- that
23 would help to tell -- tell where the faults are, because
24 the basalts are so much more magnetic than the surrounding
25 rocks.

1 But for -- for looking at the site, per se, I
2 would think that some of the geophysical ground techniques
3 that the mining companies use -- like induced polarization
4 or controlled-source --

5 COURT REPORTER: I'm sorry; controlled source --

6 THE WITNESS: Controlled-source audio
7 magnetotellurics, which is a big mouthful.

8 A. But basically they look at the resistivity of
9 the formations, and there's a good contrast, I would
10 think, between effluent and dry sediment.

11 Q. Thank you. And you said that as far as what the
12 Department wanted to do with the -- the boreholes and
13 potential wells, I think the quote was, would give a
14 pretty good indication of what's going on at the site.

15 Does that sound right?

16 A. Yeah, I think so. I think it could be
17 supplemented by some of the geophysical --

18 COURT REPORTER: I'm sorry; you're going to have
19 to slow down and speak into the microphone.

20 THE WITNESS: I -- I'm sorry.

21 A. I think that's true. It would benefit from
22 enhancement by geophysical techniques as -- as well --

23 Q. Do you know if it would be --

24 A. -- but --

25 Q. -- satisfactory to have anything less than what

1 the Department is requiring?

2 A. No, you at least need that. That's good ground
3 truth as well.

4 Q. Okay. Now, here's the -- a copy of the permit
5 as it would be modified by the Applicant. You did get a
6 copy of this earlier, but I have it here for you.

7 This is -- this is condition 21, which talks
8 about, in the Department's version, digging the -- the
9 five boreholes, and I believe Mr. Domenici said that --
10 that the Applicant's version would have one hole down to
11 the basalt, and could you read that just briefly and tell
12 me what you see there is the actual requirement?

13 A. Okay. Should get a sample of --

14 COURT REPORTER: I'm sorry?

15 THE WITNESS: Should get a sample of five
16 different locations in the -- in the cell.

17 BY MR. JOHNSON:

18 Q. Does it go to the basalt?

19 A. I think just one borehole does. Is that
20 correct?

21 Q. How -- how many boreholes do you -- do you see
22 them requiring to be drilled?

23 MR. DOMENICI: What page are you on?

24 THE WITNESS: Six, seven, ten, and eleven, and
25 thirteen, and five --

1 COURT REPORTER: I'm sorry; say that again,
2 please.

3 THE WITNESS: Six, seven, ten, eleven, and
4 thirteen, and five boreholes.

5 MR. JOHNSON: Page eight, looking at condition
6 21.

7 MR. DOMENICI: I -- I just want to object to the
8 form. I think the question was how many --

9 HEARING OFFICER ORTH: Could you speak into a
10 microphone?

11 MR. DOMENICI: -- how many are they asking for,
12 and I thought it was referring to my client.

13 I thought it was referring to my client, and now
14 he's showing them their draft permit, so I'm not clear
15 what the question is.

16 MR. JOHNSON: This -- this is not our draft
17 permit. This is what EA submitted as the revised permit
18 in their report that they did after conducting some --
19 some testing out at the site a month ago.

20 MR. DOMENICI: Thank you.

21 THE WITNESS: Now, unfortunately, I didn't get
22 this.

23 MR. JOHNSON: Right, and it wasn't delivered to
24 Mr. Hansen, so that's why he needs a minute to look at it.
25 He hasn't seen it before.

1 BY MR. JOHNSON:

2 Q. Can you -- can you read -- can you read this
3 line where I'm pointing to right here?

4 A. (Inaudible.)

5 COURT REPORTER: I'm sorry; you're going to have
6 to use the microphone.

7 MR. JOHNSON: Use the microphone.

8 THE WITNESS: To the --

9 COURT REPORTER: Start over, please.

10 THE WITNESS: I'm sorry.

11 A. Below the vertical extent of the nitrogen
12 compound --

13 COURT REPORTER: I still can't hear you.

14 THE WITNESS: -- indicated by field soil
15 specific conductance measurements and confirmed by --
16 confirmed by -- confirmed by the laboratory chemical
17 analysis --

18 MR. JOHNSON: Let me try it this way.

19 THE WITNESS: -- or the first occurrence of the
20 basalt layer.

21 BY MR. JOHNSON:

22 Q. Let me -- let me read it again, and you tell me
23 if that's what you see as well.

24 The depth of the borehole shall be to below the
25 vertical extent of nitrogen compound seepage as indicated

1 by field soil specific conductance measurements and
2 confirmed by laboratory chemical analysis or the first
3 appearance of basalt and basalt layer.

4 Right? Does that sound --

5 COURT REPORTER: I'm sorry; say that second part
6 again.

7 MR. JOHNSON: Or the appearance of basalt and
8 basalt layer.

9 A. Okay.

10 Q. All right. So one -- one borehole with those
11 conditions, would that be satisfactory, in your opinion,
12 to get to understanding of the vadose zone and soil and
13 the water?

14 MR. DOMENICI: I'm going to make an objection
15 that this is beyond the scope of his expertise.

16 MR. JOHNSON: Well, my response would be, we
17 went well beyond it with Mr. Domenici's questions as well.

18 MR. DOMENICI: Well, they could have objected if
19 they wanted, but I'm objecting.

20 HEARING OFFICER ORTH: Yes.

21 MR. JOHNSON: Well, I'm having him read the
22 actual -- I'm sorry; having him read the actual permit as
23 suggested by -- by the Applicant, and he's somebody who
24 lives in the area, and he does have some scientific
25 knowledge about -- as he's shown today.

1 Can he not weigh in on whether or not he thinks
2 that would satisfy him?

3 HEARING OFFICER ORTH: I -- I believe he's --
4 he's walking through the door you -- you opened,
5 Mr. Domenici, so I'll let him go a little ways here, but
6 again, please keep in mind that Mr. Hansen specifically
7 said he's neither a hydrologist nor a civil engineer.

8 BY MR. JOHNSON:

9 Q. Okay. My ultimate question is just, is it --
10 does it seem -- where you said that the -- the New Mexico
11 Groundwater Department's permit as drafted now is
12 basically the least we should be doing and that this would
13 be less sufficient?

14 A. Well, I think that that -- those five wellbores
15 will be -- will be good ground truth to characterize the
16 site, and one going down to the basalt is -- no doubt is
17 good.

18 It -- it would have to be plugged and abandoned
19 properly, because that's -- you're making a -- you're
20 essentially making a conduit down to what I consider a
21 fairly permeable layer, and that -- that --

22 Q. As far as the conduit is concerned, both permit
23 drafts are looking at that -- one borehole versus five.

24 Is it possible to complete, plug, and abandon
25 the borehole in that area without creating conduit? Is it

1 possible?

2 A. Well, you're going to create some kind of
3 conduit -- there's no doubt about it -- but in terms of
4 taking four more wellbores down to the basalt -- if that's
5 what you're asking -- I think if you need to go to -- to
6 establish what that -- the section looks like down in that
7 first basalt, just one wellbore is -- is better than doing
8 four more, if that's what you're asking.

9 The fewer -- the fewer boreholes down to the
10 basalt the better.

11 Q. Oh, as far as whether or not conduit would
12 occur?

13 A. Right.

14 Q. But as far as getting an understanding of what's
15 happening in the subsurface --

16 A. Yeah, you need the -- you need the ground
17 truth --

18 COURT REPORTER: I'm sorry; you need the ground
19 truth --

20 THE WITNESS: The ground truth of the borehole
21 cuttings to -- to see what's down there. There's no other
22 way to do it.

23 BY MR. JOHNSON:

24 Q. Is multiple boreholes more informative than one?

25 A. It would be, yes, but it's also more risky.

1 Q. Okay. All right. Let's look at the permit as
2 drafted by the Department again, and I've highlighted one
3 section. This has to do with the vegetation that was
4 discussed earlier.

5 This is -- this is the permit as it exists now
6 in draft form from the Department.

7 What does that say?

8 A. Vegetation growing in and around the disposal
9 cells shall be routinely controlled by mechanical removal
10 and in a manner that is protective of the disposal cell.

11 Q. So it's to be removed?

12 A. Right. Why would you do that if it's
13 evaporative?

14 Q. If vegetative -- vegetation was meant to be used
15 to help uptake the nitrates, it seems like that should be
16 something that would be specified and discussed as part of
17 the plan.

18 A. Right.

19 Q. Okay.

20 A. And certain plant species I imagine would be
21 better at transpiring than others, and you -- you would
22 make that part of the permit, just like they do with
23 vegetation on -- of well sites, for example.

24 Q. Now, going back to -- I believe it was slide 15
25 or 16, but part of your Google Earth photos which showed

1 that there was some discoloration and -- and plant growth
2 in the adjacent salvage yard.

3 A. Adjacent what?

4 Q. The salvage yard.

5 A. Right.

6 Q. Okay. If it was only groundwater in that area,
7 can plants grow with water -- I'm sorry; runoff water?
8 Can plants grow with water alone or do they need some
9 nutrients?

10 A. (No response.)

11 Q. Do plants need nutrients -- something to consume
12 in addition to water and sunlight -- to grow?

13 A. Right -- fertilizer.

14 Q. And what is the most likely fertilizer in that
15 area?

16 MR. DOMENICI: I'm going to object again. This
17 is way beyond his -- he hasn't been qualified. I'd ask
18 that he be qualified on this at least before we ask these
19 questions.

20 HEARING OFFICER ORTH: Yeah, I -- Mr. Johnson,
21 I'm not sure I remember Mr. Domenici inviting him to
22 discuss the vegetation other than the fact that it
23 transpired water as -- as opposed to being a botanist, for
24 example, or a biologist with plant expertise.

25 MR. JOHNSON: He was asked to testify if an

1 impoundment through groundwater at the salvage yard --

2 COURT REPORTER: I'm sorry; you're going to have
3 to slow down. Salvage yard what?

4 MR. JOHNSON: Oh, I'm sorry. If an impoundment
5 at the salvage yard of groundwater -- of -- of runoff
6 water would result in those plants.

7 And all I'm asking is -- Mr. Hansen was allowed
8 to testify yes, and all I'm asking is, would it require
9 something more than runoff water for the plant life to
10 grow there.

11 HEARING OFFICER ORTH: And that's typically a
12 question that a botanist or a plant biologist would be
13 answering, right? I mean, that's not something that an
14 average person would necessarily know.

15 MR. JOHNSON: I totally accept your ruling.
16 I -- I was just saying, he's -- he was talking about
17 runoff, so I thought that that would open the door on that
18 one.

19 HEARING OFFICER ORTH: No.

20 BY MR. JOHNSON:

21 Q. Okay. Let's move on to the evaporative
22 discussion.

23 When we're talking about evaporation rates, are
24 you familiar with the term pan evaporation?

25 A. No.

1 Q. Okay. Are you familiar with the idea that these
2 rates are generated by -- by what's called lake
3 evaporation?

4 A. No, I'm not.

5 Q. Okay. Are you aware of them being measured from
6 septage cells that have 48-inch berms around them?

7 A. No.

8 Q. And would 48-inch berms cut down on wind, which
9 was discussed as part of what contributes to evaporation?

10 A. I -- I suppose it might. You know, the wind can
11 be pretty strong out there.

12 Q. Would the berms cut down on it?

13 A. They might.

14 Q. Okay. Mr. Domenici also read you some past
15 testimony from Fred Kalish, who formerly had the job
16 similar to Jason Herman's, where he talked about
17 evaporation.

18 Did he -- when he had you read from that former
19 transcript, did you see Mr. Kalish referencing any
20 scientific studies to back up his statement?

21 A. I didn't see any footnote numbers or anything
22 like that, no.

23 Q. Okay.

24 A. I'm sorry. They may have been there, but I
25 didn't see them.

1 MR. JOHNSON: All right. Thank you. Okay. I
2 think that's all the questions we have.

3 HEARING OFFICER ORTH: Thank you, Mr. Johnson.
4 Mr. Brockmann?

5 MR. BROCKMANN: No questions. Thank you.

6 HEARING OFFICER ORTH: Thank you.

7 Mr. Smith, are you with us -- Dion Smith? Do
8 you have questions of Mr. Hansen?

9 MR. SMITH: I don't have any questions, no.

10 HEARING OFFICER ORTH: All right. Does anyone
11 else have questions for Mr. Hansen while we have him here
12 with us under oath? No.

13 Oh, sir, give us your name first.

14 MR. TAFOYA: Phillip Tafoya, but I don't know
15 if --

16 COURT REPORTER: You're going to have to come
17 up -- you're going to have to come up here.

18 MR. TAFOYA: I just have some public comments or
19 some private comments --

20 HEARING OFFICER ORTH: So --

21 MR. TAFOYA: Maybe some questions, questions
22 for --

23 HEARING OFFICER ORTH: Okay. So no, I'm sorry;
24 I will seek your comment when it's time for other people's
25 public comments.

1 MR. TAFOYA: Yes, that's what I meant. Okay.

2 HEARING OFFICER ORTH: All right. Thank you.

3 So it sounds as though we don't have any other
4 questions for you, Mr. Hansen. Thank you very much.

5 MR. HANSEN: Thank you.

6 HEARING OFFICER ORTH: So we will now turn to
7 the Applicant. Mr. Domenici, you may certainly offer an
8 opening statement if you would like before you call your
9 witnesses or you can just go right into your witnesses.

10 And your witnesses can sit at -- since you'll be
11 at the podium, presumably, your witness can be at this
12 table here --

13 MR. DOMENICI: Okay.

14 HEARING OFFICER ORTH: -- if that's more
15 comfortable for them.

16 MR. DOMENICI: Well, I want to make a motion
17 first.

18 HEARING OFFICER ORTH: Yes, sir.

19 MR. DOMENICI: My motion is that the prior
20 rulings by you, which were confirmed by the orders that
21 were issued, act as collateral estoppel against NMED.

22 There's four elements for collateral estoppel or
23 issue preclusion. Same party, no doubt about it.

24 The issue was necessarily -- was actually
25 litigated. In every -- both of those two hearings, the

1 issue of the depth to groundwater, the geology subsurface,
2 and the appropriate monitoring was addressed and
3 adjudicated, so it was actually litigated and it was
4 necessarily litigated.

5 And I don't think it's appropriate that because
6 NMED changes staff, my client has to have a moving target
7 when prior people in the same position had a different
8 point of view.

9 And that's the purpose for collateral estoppel
10 is that we don't -- and it's burdensome on my client and
11 it's strongly discouraged that we -- we've had this permit
12 five times.

13 NMED has agreed to the monitoring conditions
14 three times without a hearing and twice in a hearing where
15 they testified under oath, and stipulated findings were
16 filed in both of those. You adopted the findings.

17 So those findings, in my view, respectfully, are
18 not subject to being challenged on issues that were
19 actually adjudicated, and that -- the case law for that
20 is -- the -- the main case on all collateral estoppel is
21 Sheldon versus Central New Mexico Electric Co-op.

22 What that case said is, you can have -- so you
23 can have collateral estoppel between administrative
24 rulings and District Court rulings, so if you had
25 adjudicated an issue and then there was a separate case

1 brought -- brought in District Court by the same party and
2 you have ruled on that issue against that party or ruled
3 for them or ruled on it, then they don't have the
4 opportunity to relitigate it.

5 And I think it significantly undermines the
6 entire discharge permit process to relitigate it, and if
7 there's an argument of new evidence, which doesn't --
8 isn't part of any of the collateral estoppel doctrine, but
9 even if there is, based on my interview, which -- which I
10 think I was allowed -- I was asking for a deposition, but
11 I took an interview -- there's only two items that were
12 stated to be different by the witness.

13 One is the well log for the El Prado well,
14 Mr. Brockmann's client. That was produced long after the
15 draft permit, so that was not available in any way, shape,
16 or form to be a basis for these new conditions.

17 It might support them after the fact, but they
18 had already dreamed up these new conditions without that
19 data, so that's -- that's not -- not new evidence. That's
20 after-the-fact evidence that might be able to help justify
21 them.

22 Then they mentioned a 2004 article by Paul
23 Drakos. That -- that article is 2004. It's available.
24 It has been available.

25 And the articles that were cited at the time and

1 the testimony at the time is exactly the same as now,
2 which is, there is a high risk of faulting, and in both
3 cases, both witnesses agreed to that, so there's nothing
4 new on faulting.

5 The -- the decision of both technical experts
6 was, there is adequate intervening structure to impede or
7 completely capture the downward effluent; therefore, even
8 knowing that this -- there is faulting, even knowing it's
9 a part of the same exact structure that they're talking
10 about --

11 MR. JOHNSON: Objection, Hearing Officer. Is
12 this a motion or testimony?

13 COURT REPORTER: I'm sorry; objection --

14 MR. JOHNSON: I'm sorry. It's an objection to
15 ask if it's a motion or testimony.

16 HEARING OFFICER ORTH: Okay. So it's a motion,
17 and -- and Mr. Domenici, if you would -- if you would wrap
18 up.

19 MR. DOMENICI: So --

20 HEARING OFFICER ORTH: This motion I mean.

21 MR. DOMENICI: So there's -- there's no reason
22 and it's not legal to force my client to relitigate every
23 draft iteration of a five-year permit on the exact issue
24 that's been decided.

25 HEARING OFFICER ORTH: All right. So Counsel,

1 I -- I -- I -- I don't know that I've had Mr. Brockmann or
2 Mr. Johnson in one of my hearings before, but this is the
3 way I typically handle motions that are even remotely or
4 even partially dispositive or would go to the ultimate
5 issues.

6 The typical way I hand them -- handle them --
7 and I know Mr. Domenici knows this -- is not to have those
8 motions argued when I would like to be making an
9 evidentiary record, which I believe to be what I'm
10 required to do tonight. Regardless, we are going to
11 proceed with the fullness of the hearing tonight.

12 To the extent Mr. Domenici wants to lay out more
13 argument or the case law or citation, to the extent you
14 would like to present the other side of that argument, I'm
15 going to ask all of you to put it in your proposed
16 findings and conclusions document, your post-hearing
17 submittal document.

18 It follows the transcript. It allows you to
19 reflect on the evidentiary record that we actually make,
20 and it allows a serious motion, which requires reflection
21 and research to be completely explored rather than handled
22 on the fly, so I'd like all of that to be put in your
23 post-hearing submittals. Okay?

24 MR. DOMENICI: So I'll make -- I'll make a brief
25 opening and then proceed --

1 HEARING OFFICER ORTH: Okay. Please go ahead.

2 MR. DOMENICI: -- with the evidence. I wanted
3 to make sure I didn't waive that argument by proceeding,
4 which it sounds like it's clear I haven't.

5 So the -- the Rael's have operated this site
6 since 1987. The record will show they made a significant
7 change at the request of the Department to change from a
8 lagoon-based operation to the shallow cells.

9 They were asked to rotate between those cells.
10 The load -- the testimony will be that the load --
11 therefore, the loading is completely different since that
12 change has been made.

13 The testimony will indicate that evaporation was
14 the basis -- one of the bases for that, and that will
15 be -- be expressed by technical evidence, including
16 references to testimony of prior NMED employees -- expert
17 witness, technical employees who have confirmed that.

18 We are very concerned that after 27 years of
19 operating, where there's been numerous chances for NMED to
20 ask for borings, they have asked for a completely
21 unrealistic and unprecedented type of boring.

22 So they've asked for five, which is greatly
23 excessive. Then they've asked for -- if you can
24 imagine -- that those borings be sampled at every five
25 feet for physical characteristics, and they have no

1 support that the physical characteristics change every
2 five feet.

3 That is possibly a financial burden placed on my
4 clients to inhibit them from continuing operation where
5 there is no support for that. There's no guidance,
6 there's no policies, and so we will vigorously contest
7 that.

8 That is -- and we -- actually, I will be making
9 a motion in limine to strike their witness. He's not an
10 expert on the stuff he's testifying about.

11 But our witness will explain what's appropriate
12 testing. He will also -- and -- and so will our well
13 driller -- that the issues on this site are vertical, not
14 lateral.

15 And what you wanted to know was how deep has
16 the -- have the nitrates, effluent gone and if they've
17 gone past a certain depth. You wanted to see what --
18 exactly what the stratigraphy is to the basalt.

19 Our proposal was actually, if it's below 60
20 feet, we go to the basalt and through -- and then -- and
21 then through the basalt, and if the contaminants are
22 through the first layer of basalt -- which we don't know
23 exactly how thick it is -- we would not pursue the permit
24 or we would -- or we would move into closure.

25 We are that confident that this is all a wild

1 goose chase, and you've already heard one complete
2 speculative; you're going to hear a second from an NMED
3 person who is going to have to impeach his own
4 Department's decisions all the way up to the Secretary and
5 through you -- your decisions too -- and the technical
6 witnesses and Departments positions.

7 All of that is going to be overcome, arguably,
8 by a person who has -- doesn't have a hydrology, geology,
9 or engineering degree.

10 So we think -- we understand it's our burden,
11 and we're prepared to meet our burden.

12 HEARING OFFICER ORTH: Okay.

13 MR. DOMENICI: I call Jay Snyder.

14 HEARING OFFICER ORTH: Would you please go over
15 to that table? Will you be able to see your presentation
16 from that table, or no? If you -- if you'd like to sit
17 where Mr. Hansen sat, that's fine.

18 MR. SNYDER: Yeah, can you just -- and you're
19 going to have to manually scroll like that, so just go --
20 go to -- go to my resume. That's what I'll open with.

21 MR. BARNES: Sorry. Let me just --

22 MR. SNYDER: Go down, down, down, down. There
23 it is. Right there, that's better.

24 MR. BARNES: Sorry.

25 MR. SNYDER: Now, can you just page up and down

1 from there?

2 MR. BARNES: Yeah, I think I can. From this
3 view --

4 MR. SNYDER: Yeah.

5 MR. BARNES: -- or would you like to go to full
6 screen?

7 MR. SNYDER: Yeah. I can maybe do it from over
8 there too. I can speak loud. I can speak loud enough to
9 do it from over here so that I can show my slides.

10 MR. BARNES: I'll scroll, if that's okay.

11 MR. SNYDER: Let me -- let me see if I can -- I
12 can speak --

13 MR. BARNES: Once we get --

14 MR. SNYDER: I speak very loud, so --

15 HEARING OFFICER ORTH: And these are wireless --

16 MR. BARNES: Yeah.

17 HEARING OFFICER ORTH: -- so we can get you a
18 mic.

19 MR. SNYDER: Can everybody hear me? All right.
20 There's a --

21 MR. BARNES: I've got one right here.

22 MR. SNYDER: Okay. Very good.

23 MR. DOMENICI: This is going to be question and
24 answer, Jay -- a little bit at least.

25 HEARING OFFICER ORTH: We do need to swear you.

1 JAY SNIDER,
2 having been first duly sworn, testified as follows:

3 HEARING OFFICER ORTH: Thank you.

4 DIRECT EXAMINATION

5 BY MR. DOMENICI:

6 Q. Okay. Mr. Snyder, what do those initials mean
7 after your name?

8 A. So my -- my formal academic training is, I've
9 got bachelor's degrees in geology and meteorology, and
10 I've got master's degrees in geophysics and geological
11 engineering.

12 I am a licensed professional engineer in New
13 Mexico and Colorado. I am a licensed geologist in 14
14 states -- mostly out West -- and I'm a certified
15 hydrogeologist by the State of California, and I'm a
16 professional hydrologist by the American Institute of
17 Hydrology.

18 I've been doing contaminant studies for 30 years
19 now. I do site investigations and characterizations all
20 the way through cleanup and closure.

21 Because I'm a geologist and an engineer, I can
22 take them from the beginning all the way through the end
23 and the engineer plans.

24 Q. Have you been -- have you been qualified as an
25 expert witness in any courts or -- or administrative

1 proceedings?

2 A. I have before the Water Quality Control
3 Commission and in some public hearings.

4 Q. And describe who your clients -- give us a sort
5 of spectrum of your clients.

6 A. Right. I work -- I work for a lot of clients.
7 I -- I've got 30 years of experience -- all of it in
8 Albuquerque.

9 I've worked directly for the State of New
10 Mexico. I worked for responsible parties on contaminated
11 sights. I work for permittees -- like this issue at hand.
12 I work for Region 6 EPA and Region 9 EPA. EA Engineering
13 has the Superfund contracts for EPA across the country.

14 I work for the Air Force -- principally in the
15 western United States -- and I work for the Corps of
16 Engineers. I also work for dairy farmers on some of their
17 permit and abatement issues.

18 Q. Describe what you have done to prepare to
19 testify in this case.

20 A. So in looking at the draft permit, really the --
21 the only issue that I had was with the robustness of the
22 soil sampling regimen that was proposed in the draft
23 permit.

24 I see this principally as a vertical problem,
25 not a horizontal problem, so I focused on that sampling

1 regimen.

2 We reviewed local well logs to get an idea of
3 where we might encounter the basalt locally and to see
4 what types of soil we could anticipate seeing on the way
5 down to the basalt so that we'd have some sense of how
6 readily they would infiltrate water under gravity
7 drainage.

8 We -- we also looked at some of the loading
9 records and the volumes, and -- and Mr. Hansen had
10 testified to them, and so we looked at similar
11 loading-type data.

12 And I also looked at the Drakos reports, the
13 positions of the faults, the -- the projected displacement
14 on the faults, and what was going on in the alluvium above
15 the faults to prepare for this.

16 Q. Did you look at the evaporation percentage or
17 the evaporation factor for the current configuration of
18 the cells?

19 A. Yeah. You know, you mentioned earlier, I -- I
20 think, pan evaporation in Santa Fe is around 60 inches a
21 year. In Angel Fire, there's a station, and it was around
22 40.

23 I -- I suspect Taos is probably, you know,
24 between 50 and 60, but if you use 50, and a fraction of
25 that is sensible evaporation, we've got 15 inches of

1 precipitation, the 500,000 gallons a year that Mr. Hansen
2 testified to equals about six inches of water over those
3 cells.

4 So we've got -- you know, at 70 percent of 50
5 inches, we've got on the order of 35 inches of
6 evaporation, and there's 21 inches of water going into
7 those cells, plus we've got the transpiration of the
8 plants that are growing in there and obviously taking up
9 nitrates and water.

10 Q. So let me -- let me just ask you to go through
11 your exhibits, if you will.

12 A. Yeah. And one other thing we did to prepare for
13 this was, a couple of weeks ago we drilled a borehole at
14 the site, and we were able -- because of the drilling
15 technology, we were only able to get to 30 feet, but we
16 did sample the soil and had it analyzed for the
17 constituents that are proposed in the permit -- at least
18 on the chemical side -- and I can show you what the
19 results of -- of that was, but it was very favorable.

20 And as is typical with these types of
21 facilities, the concentrations start off pretty high, but
22 then they drop quite rapidly with depth.

23 Q. Based on -- based on your analysis, did you
24 propose a sampling or monitoring-plus-sampling regimen
25 that, in your professional opinion, is adequate and

1 sufficient to ensure that there will be no violations of
2 the water quality standards in groundwater?

3 A. Yes. What -- what we proposed was -- and again,
4 looking at the time series of -- of lagoon photos like
5 Mr. Hansen showed, identifying where the greatest
6 likelihood of the greatest amount of infiltration is based
7 on historical records and -- and aerial photographs.

8 At that point we would drill and sample -- not
9 every five feet, but every ten feet. That would still
10 give us ten samples before our anticipated depth of
11 hitting the basalt at 100 feet, and we would run the
12 chemical analyses on those ten samples.

13 If we had contamination extending all the way to
14 the basalt, we would drill through the basalt and then
15 under the basalt, and if we've got leachate at 150 feet,
16 as in our proposed -- I think it was condition 21, we
17 would go into closure.

18 Where I do agree with Mr. Hansen is, if this --
19 if this goes significantly to depth and it's 500 feet to
20 groundwater, by the time it reaches groundwater, it's a
21 significant vadose zone problem.

22 It's a lot of mass of contaminate in the vadose
23 zone if we wait for it to get to groundwater. We need to
24 find out where it is.

25 This facility has been active long enough. We

1 need to find the depth of infiltration and see if we've
2 got a problem or if everything comports with the work that
3 was done a while back by Shomaker -- and then followed up
4 by INTERA -- that produced their leaching model.

5 Q. For the record, just explain what their leaching
6 model concluded with respect to how leaching would occur
7 at this site.

8 A. Well -- well, it would -- it would -- it would
9 include a source strength of nitrates and then a certain
10 amount of infiltration of water, and then that's just
11 projected down through the different soil layers that they
12 would have in their model and -- and then generate a --
13 they plotted up in their figures as the concentration at
14 depth over the initial concentration, so it's like a
15 normalized fraction.

16 So -- so if you had a concentration at depth
17 over your initial concentration of .1, that means you're
18 at ten percent of your initial concentration as it's
19 attenuating going downward.

20 Q. And what did they expect or predict would be the
21 depth of infiltration after, say, 50 years?

22 A. Well, again, you have to look at it in terms of
23 that predicted concentration over the initial
24 concentration.

25 But -- but they showed that above our basalt

1 layer at 100 feet, this should behave within -- within the
2 permit constraints and shouldn't leach into too great of a
3 depth. At the time they did their soil study, I believe
4 they had leachate reaching around 30 to 35 feet.

5 These are the data from the borehole that we
6 just installed a couple of weeks ago, and we sampled at
7 zero -- or basically right at the surface of the interface
8 of the slime of the lagoon -- at ten feet, at twenty-one
9 feet, and then at twenty-five feet.

10 And the chloride at zero feet was 71 milligrams
11 per kilogram. At ten feet it drops to 25, and then at 21
12 feet it was below the detection limit at 7.5.

13 And chloride is a very good contaminate to --
14 to -- to look at when you're doing these types of studies
15 because it doesn't really transform, and it leaches really
16 with the -- with the rate of whatever water is seeping
17 vertically.

18 The nitrate, we started off at twenty-three, and
19 then at ten feet we were down to seven, and then at
20 twenty-one feet we were down to 1.9 milligrams per
21 kilogram.

22 These are below -- this concentration at 21 feet
23 is below the New Mexico Environment Department's risk
24 assessment guidelines for nitrate soil leaching into
25 groundwater, and -- and that number that the NMED has in

1 its risk assessment guidelines is based on very shallow
2 depth to groundwater and just sandy soil.

3 So these are very conservative at the depth we
4 have of 500 feet, and these -- this is what they look like
5 plotted up.

6 These are our field measurements of salinity,
7 with increasing values to the right, decreasing to the
8 left, and depth increasing going down, and so you can see
9 how it drops off as you go with depth. This is chloride
10 and nitrate, and again, you can see how they drop off as
11 you go to depth.

12 And we're only 21 feet deep, so, you know, we're
13 confident that -- that our approach is going to render the
14 information we need to find out how deep the nitrate front
15 has infiltrated.

16 I don't think that we have significant lateral
17 or horizontal movement out of these cells. They should
18 principally drain under -- under gravity.

19 If -- if we had a perched aquifer underneath
20 these cells, that would be, for the most part, protective
21 of groundwater, because it would collect all the leachate
22 in a perched water table rather than allowing it to
23 continue to infiltrate to great depths.

24 But we don't see anything -- you know, again,
25 the logs we've looked at or in any driller's notes

1 drilling in this area that we have that -- that perched
2 water.

3 Nonetheless, the way we're going to drill and
4 sample this down and through the basalt if we have to, we
5 will know where we have water, where we don't, and where
6 our nitrate and chloride fronts are.

7 Q. Now, there's been discussion of faults and
8 there's been discussion of basalt not being impermeable.

9 Give us just a general understanding of both of
10 those.

11 A. I'll -- I'll talk about basalts first, and --
12 and I agree with Mr. Hansen's testimony. Basalts are
13 never impermeable. If you've ever worked in and around
14 them, I mean, they -- you know, you can see in road cuts
15 that they've got vertical fractures in them.

16 Every now and then you'll get into really
17 competent basalt. It will still have fractures in it and
18 transmit some groundwater, but I would not consider the
19 basalts to be any kind of a confining layer here, and if
20 they're faulted and they're broken up, it's going to make
21 them even more permeable.

22 But again, they're at 100-foot depth. Our
23 premise is, we don't have leachate that goes anywhere near
24 that depth.

25 If we get below that basalt and we've got

1 leachate because we've got more basalts below us, then
2 it's probably time to -- like we put in our proposed
3 condition -- go into closure, because we -- we don't want
4 it to get any deeper.

5 Q. When you say below, how thick do you anticipate
6 that initial basalt --

7 A. So --

8 Q. -- layer to be?

9 A. -- and -- and let me go to a -- let me find a
10 couple of records here, but we've got them -- some -- some
11 nearby well logs.

12 MR. DOMENICI: While he's doing that, Madam
13 Hearing Officer, I would tender Mr. Snyder as an expert in
14 geology, hydrology, geohydrology, and civil engineering.

15 HEARING OFFICER ORTH: Any objections?

16 MR. JOHNSON: (Shakes head.)

17 HEARING OFFICER ORTH: No?

18 MR. JOHNSON: No objection.

19 HEARING OFFICER ORTH: He's so admitted.

20 A. So there are some wells nearby the facility, and
21 the two closest ones are these logs right here.

22 And in this first one, from 110 to 140 feet, the
23 driller called 30 feet of black basalt, and -- and then
24 we're into, you know, red cinders and red clay for seven
25 feet.

1 And so that everybody here knows -- because
2 you've seen this -- when you're driving through some of
3 these basalts on the Taos Plateau, you'll see like a black
4 basalt layer and then you'll see some like reddish baked
5 soil and then another basalt layer.

6 That's what this seven feet is. That's that
7 soil that got cooked between -- between this upper
8 basalt, and then from 147 to 220 we're back into black
9 basalt.

10 And so it's at the base of this first basalt
11 where if we've got contamination and impact, that triggers
12 in our condition moving into closure, because all we've
13 got below us is too much basalt.

14 We've got some other layers, but this second
15 basalt -- if you notice in this log -- takes us all the
16 way down to 220 feet, and that's too deep.

17 COURT REPORTER: And that's what?

18 THE WITNESS: That's too deep.

19 A. The next log, from 106 to 136, again, 30 feet of
20 black basalt, and then -- and then 34 feet of red sandy
21 clay, and then black basalt to 195, some soil in between
22 there again.

23 And then -- and then, you know, here's a --
24 here's a basalt layer that is at 281 to 540 -- 259 feet of
25 black basalt.

1 So if we get below that first black basalt at
2 100 feet -- I mean, if we leach that deep and we're
3 through it -- then -- then we trigger closure and --
4 and -- and doing complete vertical delineation as we go
5 into closure.

6 Q. So under your conditions, when -- when would the
7 drilling to the basalt -- under what circumstances would
8 that occur?

9 A. We propose that to take place in lieu of these
10 shallower borings and multiple borings that are dependent
11 on the chemical concentrations and so forth.

12 We want to know the complete stratigraphy. We
13 want to see that basalt layer. We want to see the nature
14 of that basalt layer, and -- and if necessary, we want to
15 see what's under that basalt layer.

16 Q. But in the conditions -- at least my reading
17 was --

18 A. I think it was in 90 days or something.

19 Q. -- my understanding was you would go to 60 feet
20 first, and if you found anything, then you'd go through to
21 the basalt, or is -- or are -- are you proposing the
22 initial boring go to the basalt?

23 A. Let -- let me just go to our condition as
24 written. Okay. It says that the -- this is like the --
25 the bore -- the -- yeah, and that pointer doesn't work on

1 that screen -- the depth of the borehole shall be to below
2 the vertical extent of nitrogen compound, so you could
3 just indicate it by field soil specific conductance
4 measurements and confirm by laboratory chemical analysis
5 or the first occurrence of basalt and basalt layer.

6 And so -- and so if we're -- so like based on
7 these last samples, we were -- we were pretty much out of
8 contamination at 21 feet.

9 So what I typically like to do when I'm doing
10 vertical delineation -- let's say for the sake of
11 discussion in this borehole we're out of contamination
12 at -- at 40 feet -- typically we would go another 20 feet
13 at least to make sure we don't have a significant change
14 in soil type which might affect contaminant migration and
15 to make sure that we're not only still clean, but the
16 trend is getting cleaner, because typically these things
17 wall off with depth -- like the curves that I showed --
18 and so we -- it would be a line of evidence that, yeah,
19 we're at the edge of the -- the -- the seepage front.

20 And based on the data we just collected, we're
21 still within the predictions of the vadose zone leaching
22 model that was done by INTERA, so everything so far looks
23 like it's on plan relative to the work that was done a
24 couple of decades ago by Shomaker and -- and INTERA.

25 Q. Now, the next condition or the next paragraph --

1 A. Right. If we -- so let me just read what we put
2 in here. So if we've got contamination to depth, if
3 chemical analyses indicate total nitrogen content is less
4 than or equal to the non-impacted levels --

5 COURT REPORTER: I'm sorry; the nine --

6 MR. DOMENICI: Non.

7 COURT REPORTER: The non.

8 A. -- non-impacted levels identified by Table 11 in
9 this study, then no additional soil sampling and analysis
10 will be required during the period of operation as defined
11 by the permit renewal.

12 If the chemical analysis indicates elevated
13 total nitrogen content that extends to the first basalt
14 layer encountered, then the boring will be advanced
15 through the basalt layer to collect additional soil
16 samples at the same ten-foot frequency for chemical
17 analysis of the constituents listed above.

18 If nitrogen content is elevated at depths
19 exceeding 150 feet, then the closure plan requirements
20 will be initiated by the facility, and we'll go into
21 closure.

22 And -- and again, the purpose of this is, you
23 know, we don't -- we don't want to like, you know,
24 cat-and-mouse chase this down to like 400 feet and claim
25 we're still safe because groundwater is at 500 feet.

1 We don't want to -- we do not want to impact
2 that much vadose zone. I mean, that's just poor practice,
3 and -- there's other methods and techniques to evaluate if
4 we've got seepage that's going to depth other than going,
5 you know, from a 60-foot boring all the way to
6 500-foot-deep monitoring wells.

7 Q. So if you'll scroll up on that about this --
8 which had the language about how you select the drilling
9 location.

10 A. We proposed one location deemed by NMED to be
11 representative of where we -- where we had the worst
12 potential for vertical leachate migration.

13 And -- and again, that's -- you know, we can
14 review the records. We can propose a location, get their
15 input, concurrence, however far they'll go, but I mean, as
16 long as everybody agrees that, you know, this is a good
17 location to find out how far this stuff went to depth,
18 because again, it's principally a vertical problem, not a
19 horizontal problem.

20 If groundwater was at 30 feet, this would be a
21 horizontal problem.

22 Q. Just be a little clearer why it's a horizontal
23 and not a vertical problem.

24 A. It's a vertical, not a horizontal.

25 Q. Well, vertical.

1 A. Because -- because -- because it's going to want
2 to just gravity drain to the extent it can.

3 Now, if -- if -- if we've got a lot of seepage
4 and it finds a clay layer where the seepage into that clay
5 layer is greater than it can seep through the clay layer,
6 then we're going to form a water table on that clay layer.
7 It -- it will just saturate.

8 Then you can start getting some of the
9 horizontal migration like Mr. Hansen showed in that one
10 slide where he had some horizontal seepage fairly shallow
11 toward that well.

12 The only way that can occur with this problem
13 is -- is if we've got a clay perching layer that will hold
14 that water up and then move it laterally or horizontally.

15 That's a bad thing because you're increasing
16 your impact horizontally, but from the standpoint of the
17 regional aquifer it's a good thing, because the
18 groundwater -- the -- the -- the seepage from the lagoon
19 is getting held up on that perching layer. It's not
20 infiltrating all the way to the groundwater. It can't.

21 Q. Is there any data that shows that if that
22 occurred, that would go over 1,000 feet, as Mr. Hansen
23 showed?

24 A. It would require a whole lot of water that has
25 been discharged from this facility and it would require

1 continuity in the clay layer for those distances.

2 As soon as that clay layer pinched out and
3 you're just left with sand and gravel, which is also in
4 the alluvial section, the perching layer would be gone
5 and -- and groundwater would start to discharge off of
6 that perching layer and then drain vertically again.

7 But if you -- you know, it's no different than
8 like if you've got a sandbox or if you're on the beach and
9 you dump a bucket of water on it.

10 It moves horizontally a little bit, but then it
11 infiltrates straight down, because gravity is by far the
12 greatest driving force on -- on the liquids coming out of
13 these -- out of these cells.

14 Q. When we're talking about driving force, what --
15 how does the head of the water affect the driving force?

16 A. Significantly, which is why the change was made
17 way back around early 2000s with the concurrence of the
18 State.

19 Ponded heads are terrible because -- because
20 they drive the water vertically with even more gradient.
21 When they went to the -- to the thin application, then --
22 then you've got far less ponded head, much greater
23 potential for evaporation versus infiltration and plant
24 uptake.

25 The -- the current operation is, they -- they

1 rotate through the 13 cells and -- and they apply at any
2 given time -- but since there's 13 cells, you know, each
3 cell probably averages getting around one inch -- one inch
4 or less a month per cell so that -- so that it's somewhere
5 around, you know, six, seven, eight inches per year on
6 each cell.

7 And so spreading it out like that creates more
8 time in between for evaporation, for plant uptake, and the
9 plant uptake, you know, is clear evidence that there's
10 water loss from the plants as well as probably nitrate
11 uptake.

12 Q. Have you reviewed the conditions that -- the
13 same conditions for the same circumstances that NMED
14 proposed?

15 A. No. No. And I mean, on the soil physical
16 properties, twenty soil physical properties per boring by
17 five boreholes, you know, we did a cost analysis of that,
18 and just to collect these samples and do these five
19 boreholes, we've got a cost estimate of \$180,000.

20 And typically, you know, what you do with the
21 soil physical properties is, you collect, you know, maybe
22 three to five samples in each unique geologic layer that
23 you may want to have information on to support.

24 For example, if we're going to do more vadose
25 zone modeling like the INTERA modeling study, we would

1 want data like this. We wouldn't need this much data.

2 But we have no intent -- again, if we're below
3 the first basalt, we have no intent of running a model to
4 show that it's not going to make it to 250 feet.

5 We're -- we're going to -- if -- if it's already
6 there, we're going to go into closure.

7 Q. Are you --

8 A. And let me get that estimate up here quick.

9 Q. Okay.

10 A. Right. We -- we came up with \$178,900.

11 And these soil physical property samples -- bear
12 in mind, by doing them every five feet in five boreholes
13 to a hundred, that's a hundred samples; twenty samples of
14 borehole times five boreholes. These soil physical
15 properties analyses are \$600 each.

16 And I've never seen a plan this robust in soil
17 physical properties, and I've never seen a specification
18 like this in my career.

19 Q. Have you ever seen any guidance or protocol that
20 would demonstrate that this was based on some kind of
21 consistent, well-thought-out, publicly-available protocol
22 that any NMED has established?

23 A. Not that I'm aware of, rather, you know, ASTM
24 has guidance documents on site characterization and on
25 developing your conceptual site model, and these types of

1 analyses are typically, like I said, three to five samples
2 per unique geologic layer.

3 So if on the way to the basalt we had, you know,
4 two clays and a sand layer, we would test the clay, the --
5 we would test each of the clays and we would test, you
6 know, the sand layer to the degree it's significant,
7 but -- but the significant alluvial deposits that we have.

8 Q. And is that what you propose?

9 A. Yes.

10 Q. Have you seen anything -- have you reviewed the
11 statement of intent of NMED?

12 A. I have.

13 Q. Have you seen anything that justifies the
14 physical sampling requirements?

15 A. No. There -- I mean, there's really no basis
16 provided. It's just a list of -- of what needs to be
17 tested.

18 Q. And are you concerned that something has
19 happened on this site since the last five permits were
20 issued or some new data has arrived that would justify
21 going from hand sampling down to thirty-six inches twice a
22 year to five borings that will average, I want to say,
23 \$35,000 per boring with over \$12,000 of physical sampling
24 in each boring?

25 A. No. No. But, you know, on that point, I think

1 that the -- the shovel samples to 36 inches is probably
2 not adequate.

3 I think that the language in the draft permit
4 is -- is overambitious, but I do understand the intent of
5 it.

6 I think it can be done and -- and that question
7 answered just as effectively with far less scope. I mean,
8 that's really the only difference is, it doesn't take this
9 many analyses, this many boreholes, and -- and this
10 regimen to demonstrate where the nitrate and the chloride
11 front is.

12 Q. Now, the sampling protocol calls for chemical
13 samples at every five-foot interval.

14 Have you seen that in other NMED -- in any NMED
15 protocol or any other -- any NMED requirements?

16 A. Not that I'm aware of. And -- and again, if I'm
17 boring to 100 feet, it would be far more typical to
18 sample, you know, every ten feet and/or with changes in
19 stratigraphy that indicate, you know, you might want to --
20 to sample a certain layer two or three times, you know, so
21 that would be kind of some field discretion rather than
22 just rote five, ten, fifteen, or ten, twenty, thirty.

23 But I mean, 20 samples in a 100-foot borehole I
24 haven't seen in a scope of work on a Superfund project.

25 Q. Where there's known contamination?

1 A. Known hazardous waste.

2 Q. Did you see anything in the Notice of Intent and
3 the summary of testimony justifying sampling at five --
4 chemical sampling at five-foot intervals?

5 A. No.

6 Q. Is there anything in the El Prado well log --

7 COURT REPORTER: I'm sorry; the what?

8 MR. DOMENICI: The El Prado well log.

9 BY MR. DOMENICI:

10 Q. -- that was recently provided that would change
11 your proposed conditions?

12 A. No.

13 Q. Is there anything in that well log that would
14 justify physical sampling at five-foot intervals and
15 chemical sampling at five-foot intervals?

16 A. No.

17 Q. Is there anything in that well log that would
18 justify five boreholes?

19 A. No.

20 Q. Now, if NMED doesn't agree or want to or perhaps
21 doesn't follow an order that they select the --
22 essentially the worst location for a single borehole,
23 would you be able to do that?

24 A. Yes, we could adequately propose one, and the
25 degree of concurrence we would get, you know, we'd try to

1 get agreement on it, but --

2 Q. Now, I want you to explain so the record is real
3 clear, because we will have a witness coming up arguing --
4 probably strongly -- for five boreholes, so I want
5 something very precise on the record -- not that we're not
6 looking at lateral versus vertical -- what -- why is your
7 borehole sufficient for purposes of this permit as
8 compared to five boreholes?

9 A. Again, we -- we want to see the vertical extent
10 to which leachate has migrated, and -- and like I said
11 earlier, I mean, at -- at 50 feet do we have a clay layer
12 and we've got a perched -- and we've got a perched layer?

13 You know, the prior wells that have been drilled
14 out here were probably drilled with mud rotary drilling
15 techniques, and you'd never see -- you know, you'd never
16 see a perched layer like that just mudding up and drilling
17 down to 500 feet.

18 We want to see that. If that perched layer is
19 there -- and again, like I said, if there's a perched
20 layer at 50 feet, we'll find it, and then it may become a
21 horizontal problem, and -- and the NMED rules, you know,
22 clearly dictate, you know, what we do if we've got
23 impacted groundwater at, say, 50 feet and what we need
24 to -- to do to go from there.

25 There's probably provisions -- standard

1 provisions -- in -- in all permits that -- that address
2 that language.

3 Assuming that that's not the case, this is a
4 vertical problem, and so think about, you know, if you had
5 a pond of water on a football field and it had been there
6 for 30 years.

7 If you wanted to know how deep the water
8 infiltrated from that football field, would it really
9 matter where on the football field you drilled your
10 borehole?

11 Would you need five boreholes on the football
12 field or fifty, or of it was the same football field and
13 it had the same level of water on it for thirty years,
14 would -- would the water move out through the grass on the
15 football field and infiltrate to depth fairly uniformly?

16 And I argue that it would be that latter case
17 and that you don't need to -- you don't need to solve a
18 whole lot of horizontal delineation.

19 You need to find out how deep is the wetting
20 front on -- on any infiltration out of these lagoons.

21 Q. And would you consider the lagoons -- and I'm
22 using the technical term lagoon -- usage that was before
23 the cell configuration that's in place now in determining
24 the location?

25 A. Right. Well, that would play heavily into it,

1 and -- and some of those were shown, you know, in -- in
2 Mr. Hansen's early time series of -- of his Google Earth
3 photos.

4 So we would factor that in, but then we would
5 also take a look at the loading records which are kept,
6 you know, and bring it all together and, you know, make a
7 proposal with some basis for it and see what the State
8 said.

9 Q. Do you think that \$180,000 that NMED is
10 requesting Steve and Loretta Rael pay after never having
11 requested any samples like that, do you think it gains
12 significant information as opposed to what you're
13 proposing?

14 A. Well, because there was no basis provided for
15 the physical -- soil physical properties, I don't even
16 know what the data usage is on that.

17 If we -- if we were going to do some modeling,
18 we could use it certainly, but if we're doing it just to
19 say that this is clay and this is sand, that can probably
20 be done, you know, with far fewer samples and then just
21 with geologist logging.

22 And then the chemical analyses, I agree with the
23 analytes that are being run, but I think that sampling
24 every ten feet will tell us the exact same thing that
25 sampling every five feet will tell us, because again,

1 we're looking for -- we're not necessarily looking for an
2 extremely detailed profile between zero and 30 feet.

3 We're trying to find out, did this stuff -- has
4 this stuff infiltrated 30 feet, 40 feet, 50 feet, and --
5 and if it's infiltrated, say, 50 feet, are we then clean
6 at 60 and then at 70, and -- and then, do those data agree
7 generally with INTERA's leaching modeling, because --
8 because that ties the previous work into where -- where we
9 are.

10 You know, it's basically a mechanism to -- to
11 validate their -- their prediction.

12 Q. What do you consider, based on your analysis, to
13 be the depth to groundwater?

14 A. I believe it's 500 feet. I've -- I've looked
15 at -- and -- and by the way, Figure 3 in Mr. Hansen's
16 testimony showed it at 500 feet, and that was from his
17 hydrogeology report where he got that little cross section
18 piece that he put. It shows it at 500 feet.

19 The -- the reports that were done by Glorieta
20 Geoscience -- Drakos -- I mean, they showed it at --

21 COURT REPORTER: I'm sorry --

22 A. -- 500 feet.

23 COURT REPORTER: -- done by who?

24 THE WITNESS: By -- by Glorieta Geoscience,
25 the -- the Drakos report I believe it was -- reports show

1 it at 500 feet.

2 A. The NMED has -- has, you know, stated it at 500
3 feet. I don't think that's questionable -- again, unless
4 there's a perching layer, and if there's a perching layer,
5 we'll find it.

6 Q. Since the current cell configuration has been
7 constructed and used in the way you describe it, do you
8 have an estimate as to how much of the -- or an opinion,
9 let's call it that -- an opinion as to how much of the
10 effluent that's applied to a specific -- particular cell
11 on average leaches into the soil as opposed to evaporating
12 or -- or going into the plants?

13 A. That has not been studied, but the plant growth
14 in there does indicate that there's both water and nitrate
15 uptake as supporting those plants.

16 And, you know, back when it was -- back when it
17 was ponded -- you -- you can also get too much nitrates so
18 that you get plant toxicity, so whatever is growing in
19 there likes the current condition.

20 And -- and generally plants can take up a whole
21 lot of water relative to what infiltrates. Infiltration
22 is typically -- at least of rainfall.

23 In -- in -- in arid regions down in the desert,
24 it can be as low as one or two or three percent; elsewhere
25 it can be maybe ten percent, but it's never eighty

1 percent. But it has not been studied. It had not been
2 studied at depth.

3 Again, though, with the analyses that the State
4 requested, we will get moisture contents, and so we will
5 know -- we will know what the water profile looks like, as
6 well as the chloride and the nitrate.

7 But the chloride is going to tell us exactly how
8 deep we've had infiltration, because it's -- it's just --
9 it's a tracer.

10 Q. Let me hand you this set of documents.

11 Can you turn to page 771? It's -- it means NMED
12 00771.

13 A. Yes.

14 Q. And then the second paragraph that starts with
15 Mr. Kalish agreed, do you see that?

16 A. Yes.

17 Q. That says, the disposal cells are not entirely
18 evaporative. Mr. Kalish believes there is an element of
19 infiltration as well. Because the cells are unlined, loss
20 is primarily evaporative. Nitrates penetrate deeper than
21 12 inches, although not greater than tens of feet.

22 Do you agree with Mr. Kalish's statement that
23 loss is primarily evaporative?

24 A. Yes. Well, and plant transpiration.

25 COURT REPORTER: I'm sorry; and what?

1 THE WITNESS: Plant transpiration.

2 BY MR. DOMENICI:

3 Q. So including those two -- or combining those
4 two, the loss would be primarily evaporative and
5 transpiration -- plant transpiration?

6 A. That's correct.

7 Q. And then he states, nitrate penetrates deeper
8 than 12 inches, although not greater than tens of feet.

9 Do you agree with that?

10 A. Well, we just showed that it doesn't go deeper
11 than twenty-one feet, and that's two tens of feet, so I
12 agree with that statement as well.

13 Q. Have you seen anything in the technical
14 testimony that -- NMED technical testimony -- that would
15 contradict or provide a basis for contradicting
16 Mr. Kalish's sworn testimony that was adopted as a finding
17 of fact?

18 A. No. You know, and I would like to -- because it
19 was brought up earlier, I would like to discuss a little
20 bit faults.

21 You know, what changes how fluids infiltrate or
22 migrate are changes in permeability, and you can get
23 changes in permeability because of geology and -- and
24 because of structural geology like faulting.

25 But it's -- it's not a one-to-one relationship

1 that faults cause higher permeability. In some cases they
2 can be negligible and in other cases they can actually be
3 less permeable depending on how much gouge and whatnot
4 there are in faults.

5 In -- in this case, I suspect that the basalt
6 fractures have increased the permeability, but in the
7 alluvium above it, I don't know how much control it has.

8 So in the top 100 feet, I don't consider faults
9 anywhere near the issue that they would be if we've got
10 infiltration to significant depth, and infiltration to
11 significant depth, as per our proposed condition, triggers
12 closure.

13 MR. DOMENICI: Madam Hearing Officer, I'm almost
14 done. I need to find one citation here.

15 HEARING OFFICER ORTH: Okay.

16 MR. DOMENICI: Okay. Let me just move on.

17 BY MR. DOMENICI:

18 Q. Mr. Snyder, do you have an opinion whether the
19 issuance of discharge permit renewal for DP-465 with the
20 conditions you have proposed will result in a hazard to
21 public health or adversely affect groundwater or will
22 cause an undue risk to personal or physical property?

23 A. No, it won't. In fact, as -- as we've written
24 that modification, if things are behaving in a manner that
25 we haven't seen yet but it's gone below the first basalt,

1 we've got provisions to -- to basically halt, you know,
2 any further infiltration and use of the facility.

3 So -- so not only is it adequate, but it's --
4 but it's more protective because we -- we've got a trigger
5 for what constitutes a problem we don't want to deal with
6 and -- and we'll move towards closure.

7 Q. If your proposal is accepted, is there any need
8 for groundwater monitor wells, which are also a condition
9 in NMED's permit?

10 A. No. No, because we also put in in one of our
11 conditions that there's -- there's mechanisms for vadose
12 zone monitoring, which would let us know where the
13 leachate is far sooner than, you know, a monitoring well
14 would pick it up.

15 For a monitoring well to pick it up, it will
16 have had to already contaminate 500 feet of vadose zone,
17 which is way too much vadose zone contamination. I mean,
18 that's letting it go way too long before you've got a
19 regulatory trigger to say, we've got an issue.

20 There are other mechanisms way shallower to
21 determine whether or not there's an issue we need to deal
22 with.

23 Q. In reviewing the NMED Notice of Intent, did
24 you -- did you notice whether or not NMED's witness has a
25 geology degree?

1 A. No, I believe he -- I think he's got a master's
2 in -- in the water resources program.

3 Q. Did you --

4 A. And -- and it looked like it leaned towards
5 maybe like water policy more so than like groundwater
6 hydrology, but --

7 Q. Did you see any calculations of any kind in his
8 proposed testimony that would support any of the
9 conditions that he's proposing?

10 A. No.

11 Q. Is there any way to respond to his testimony or
12 to his proposed conditions without knowing if he performed
13 any type of analysis to justify those conditions?

14 A. No. I -- again, I -- I have no idea the basis
15 for that many soil physical property samples. I -- I have
16 no idea why -- you know, if you're -- if you're drilling
17 to these depths, you have to sample every five feet
18 instead of every ten.

19 MR. DOMENICI: That's all I have. Thank you.

20 HEARING OFFICER ORTH: Thank you, Mr. Domenici.

21 Mr. Johnson, do you have questions of
22 Mr. Synder?

23 MR. JOHNSON: I do.

24 CROSS-EXAMINATION

25 BY MR. JOHNSON:

1 Q. All right. Mr. Snyder, I just want to touch on
2 what you were saying about perched water, which for those
3 who don't know, it's just the shallow layers of
4 groundwater.

5 Are you -- I believe your testimony, you --
6 you've described it as something that would act as a
7 capture potentially for the contaminants if they reached
8 one.

9 Is that true?

10 A. Yeah, if they perched on that -- on -- on a clay
11 layer and -- and you created a water table there, then all
12 future infiltration would -- would recharge that -- that
13 shallow perched aquifer.

14 And the only seepage that you would have to
15 depth would be, you know, that which could seep from this
16 perched water table across your clay layer and then
17 discharge below it, and that's generally a pretty low
18 number simply because of how low the permeability is on
19 the clay.

20 Q. Okay. Are -- are you aware that the groundwater
21 regulations do not differentiate between the perched water
22 and the regional aquifer when it comes to protecting them?

23 A. That's exactly why I said that if we encountered
24 that, there's all kinds of provisions we'd start
25 following.

1 Q. Okay. As far as the evaporation, that was also
2 brought up -- I -- I had asked Mr. Hansen earlier -- but
3 you are familiar with pan evaporation, the definition of
4 that?

5 A. (Nods head.)

6 Q. How is -- how is that measured?

7 A. It's measured in an open pan out in -- out in
8 the -- out in the sunlight.

9 Q. So it's literally like a pan beside a lake?

10 COURT REPORTER: I'm sorry; what?

11 MR. JOHNSON: Beside a lake.

12 A. I don't know why you would necessarily put one
13 beside a lake, but --

14 Q. It's just another way of describing that type of
15 measuring that I have heard.

16 But isn't it different than -- to measure
17 evaporation in that sort of environment than it would be
18 to estimate it in a septage impoundment like S & R is
19 operating?

20 A. Well, yeah, because you've got plant uptake.
21 It -- it's shaded. It's not in the sun. It's still going
22 to warm up and evaporate.

23 And then even on like ponds, it -- you know,
24 like in -- in the world of water rights, if you're looking
25 at an evaporative loss on -- on, say, a fishing pond at a

1 resort, I think -- I think you take around 70 percent
2 of -- of the pan evaporation as the effective evaporation,
3 which is why, you know, it might be 50 inches of pan
4 evaporation here, but if you use 70 percent of that -- 35
5 inches, 30 inches, in that range -- you've still got
6 evaporation that exceeds the amount of water put in these
7 cells by precipitation and off-loading the septage by a
8 factor of twofold, so I do think that the evaporation and
9 the plant uptake is significant.

10 Q. But there's some -- a fair amount of
11 uncertainty, it sounds like, for the range you described
12 as far as how much might actually be occurring?

13 A. Oh, absolutely. But -- but again, the proof
14 is -- so, you know, so we could collect a whole bunch of
15 data from zero to one feet and try to figure that out, or
16 we can collect chloride down until we're out of it and we
17 know how far the infiltration front has gone, compare that
18 to the INTERA study and see if their model is fairly well
19 validated and -- and if everything is going according to
20 plan.

21 Q. Okay. Thank you. Let's move on to the -- the
22 plant growth itself.

23 I think in your testimony you have acknowledged
24 that what we've seen on S & R's site implies that there's
25 some nitrate combined with water that's causing it to

1 grow, correct?

2 A. Yes.

3 Q. That's -- that's acting as --

4 A. Yes. If you add water --

5 COURT REPORTER: I'm sorry. I'm sorry. Wait.
6 I didn't get your question.

7 BY MR. JOHNSON:

8 Q. It's acting as a nourishment for the plants?

9 A. Well, but the soil has got nourishment too.

10 We -- we could go 100 yards away and put -- if we went 100
11 yards away and put 20 -- 20 more inches of water on the
12 ground in addition to the 15 it rains, we could grow corn
13 for a season or two.

14 Q. Okay. But in this site, you indicated that
15 nitrate was acting as the -- the primary nourishment? It
16 doesn't --

17 A. No, I -- no, I didn't. I said the plants will
18 take up nitrogen --

19 Q. So --

20 A. -- and they are taking up nitrogen.

21 Q. Then I think -- okay. You said the occurrence
22 of plants indicates the nitrogen is there?

23 A. No. You would have plants even if you didn't
24 have any excess nitrogen loading. You could move away
25 from this facility, add 20 inches of water, and grow

1 plants.

2 You wouldn't have to bring in septage or
3 fertilizer. You could grow plants for a year -- maybe
4 two -- then you'd need to start fertilizing.

5 Q. Okay. So let's talk -- go back to the -- I
6 think it's Exhibit 2, the EA report. I don't think that's
7 on the screen at the moment, but it was for the State
8 Engineer wells. That one or the -- the one before it.

9 A. This one here?

10 Q. Right there, where we're talking about the
11 lithology.

12 A. Yes.

13 Q. Okay. So it looks like in both that and the --
14 and the other site that there is a certain amount of
15 variability from about eight to a hundred feet where
16 there's some gravel and, as we were talking about, clay,
17 which is particularly relevant, correct?

18 A. (Nods head.)

19 Q. So there's some uncertainty even though there
20 was some testimony earlier about there being a high degree
21 of certainty in that layer of soil, some uncertainty in
22 the lithology?

23 A. (No response.)

24 Q. What I'm asking is, if you look right below
25 where it's highlighted it says, brown gravel and clay.

1 A. Yeah.

2 Q. And it says that that extends for, I think, 30
3 feet in that case.

4 And can we scroll down to the other one?

5 A. (Witness complies.)

6 Q. Or up.

7 A. (Witness complies.)

8 Q. It looks like about 30 feet there too.

9 A. Sandy -- yeah, sandy clay and gravel.

10 Q. Okay. So if there's clay there, you testified
11 that some perched water could collect on top of it --
12 create perched water, actually, by being halted in its
13 percolation at that point.

14 So doesn't that help justify the need to take
15 samples at every five feet to make sure where that clay is
16 so we know?

17 A. No.

18 Q. No. Why not?

19 A. Because -- because we will continuously core.
20 If -- if -- so we -- so the hole that we drill, we have
21 circulation problems because I think we got into a gravel
22 zone fairly shallow, and so air rotary is not going to
23 work.

24 I don't want to drill with mud rotary -- it will
25 wash the samples out -- so I'm either going to drill

1 hollow stem augers and continuously sample and I'll drill
2 it sonic, which will give me ten-foot continuous core, so
3 either way I'm going to see everything depending on our
4 sample recovery.

5 Now, if I drill hollow stem auger, I'm not going
6 to see as much as sonic, but -- but it's -- it's adequate
7 for this purpose.

8 And the problem with -- and what I say when I --
9 I'm not going to see as much is, if I get into a gravel
10 layer, you know, instead of five feet of sample -- every
11 five foot auger flight, I might only get two feet of
12 the --

13 COURT REPORTER: I'm sorry; every five foot --

14 THE WITNESS: Every five feet of auger flight I
15 might only get two feet of gravel, because it's hard to
16 catch it all.

17 A. Clay I'll get 100 percent. Silty sand I'll get,
18 you know, typically 80 to 100 percent, so I'll know what
19 the soil is, I'll know what the soil moisture is based on
20 field observation.

21 Q. And I understand that's prospective if your plan
22 is adopted, but when we're talking about getting
23 information about how things are now and the -- the
24 testing that was conducted last month, what kind of drill
25 was used?

1 A. We -- we attempted to drill it with an air
2 rotary rig.

3 Q. Okay. And it wasn't particularly successful
4 why? Was there debris falling into the hole?

5 A. Yeah. The hole wouldn't stay open. If you
6 drill air rotary, you have to hope that your -- your hole
7 stays open.

8 Q. Okay.

9 A. If it collapses on you -- so picture this: Say
10 you've got a weak zone up here and you're already down
11 here drilling.

12 If up there collapses on you, then everything is
13 lost in the hole, because you can't pull your bit out, so
14 you reach a point where it's just not the appropriate
15 technique.

16 Q. And the results from that were, I believe, three
17 grab samples and one split spoon; is that right?

18 A. Yes.

19 Q. Okay. So with those three grab samples, how do
20 you know that the -- the soil you're actually analyzing
21 wasn't something that had fallen in, debris from higher
22 up?

23 A. Well, that would have biased the sample high,
24 because as you notice, the profile decreased with depth.

25 So if I was at 20 feet and I had stuff coming in

1 from one foot, that means I was even cleaner at 21 feet
2 then, because I was dirtier above --

3 Q. But --

4 A. -- so that would bias my analysis high.

5 Q. But there is uncertainty about exactly what's --

6 A. No, that's absolutely certain. That's
7 absolutely certain that if -- that if that zero --

8 Q. I understand what you're saying.

9 HEARING OFFICER ORTH: Wait. Hold on.

10 COURT REPORTER: One at a time, please.

11 HEARING OFFICER ORTH: Hold on. Mr. Johnson,
12 you need --

13 A. If the zero-to-one-foot sample collapses --

14 COURT REPORTER: Wait, please. Please.

15 HEARING OFFICER ORTH: Mr. Snyder, wait.

16 THE WITNESS: Oh, I'm sorry.

17 HEARING OFFICER ORTH: I understand the problem.

18 Mr. Johnson, you -- you keep stepping on Mr. Snyder's
19 answer. If you would please let him finish his answers
20 and then ask a question, so Mr. Snyder, please.

21 THE WITNESS: Yes.

22 A. So -- so if those shallower samples -- you know,
23 right where the waste is being placed -- if any of that
24 sloughed into the borehole and then came up and I grabbed
25 it in my sample from 21 feet, it's going to bias it high.

1 It's not going to make it look cleaner, because
2 all my samples above me were higher.

3 Q. And I -- and I understand that. I wasn't
4 questioning that part.

5 I was asking if there would be uncertainty about
6 what layer the soil you tested came from.

7 A. No.

8 Q. There's --

9 A. No. The -- the return -- when you're drilling
10 air rotary, the return time from 20 feet is less than a
11 second. I mean, you're getting what's coming up at your
12 bit.

13 Q. So you are saying there was no debris falling
14 in? I thought you said the hole was collapsing.

15 A. Once we got down there. That's why we stopped
16 where we did. That problem occurred at the depth we could
17 get to, but that can happen right in the zone you're in.

18 So if, let's say, for example, from 22 to 25
19 feet we got into a course gravel. When you're drilling a
20 hole with air rotary, it's -- the air returns up the
21 borehole that brings the cuttings out.

22 If you're in a course gravel, now you start to
23 blow air out into the gravel and -- and you don't even
24 have the returns, and so it just creates -- it just
25 creates difficulty. Nonetheless, that work that we did

1 was to get an indication of what we may have going on.

2 Are those numbers off by an order of magnitude?

3 I highly doubt it. Are they sufficient to go to this
4 permit renewal without us doing any more subsurface
5 investigation? I highly doubt it.

6 But it did give us a look at where we're at
7 and -- and what we can anticipate as we go into this.

8 MR. JOHNSON: Okay. Madam Hearing Officer, I
9 want to check with you on this. There's something that is
10 in their pre-submitted written testimony that wasn't
11 testified to just now.

12 Is it still viable to talk about that?

13 HEARING OFFICER ORTH: Yes, it is.

14 BY MR. JOHNSON:

15 Q. Okay. So in Table 1 of Exhibit 5 of your
16 report, it lists several other facilities for the purpose
17 of comparing permit conditions to see if there is perhaps
18 an imbalance somewhere.

19 A. Okay.

20 Q. That's it. So although these sites do lack some
21 of the physical and chemical monitoring required of S & R,
22 isn't it true that they also have other conditions that
23 are not required of S & R?

24 A. Oh, I'm sure that's true.

25 Q. And wouldn't that make sense given that each

1 site is unique?

2 A. It depends on where you're at. It depends on
3 where you're at. Some -- some people think every site is
4 incredibly unique. They're generally not that incredibly
5 unique. It's somewhere in between. They're never
6 simplistic.

7 Q. Okay. These locations, do they have any reports
8 or findings that call the -- the prevailing wisdom about
9 the underlying geology into question? Are you aware of
10 anything like that?

11 A. No.

12 Q. Okay. So the -- and going back to the Office of
13 the State Engineer wells that were mentioned -- I believe
14 that's Exhibit 2 -- did they evaluate the fractured nature
15 of the basalt layer?

16 A. Let me -- let me check real quick. And -- and
17 my answer is going to be, I doubt it, because I'll bet
18 they drilled down air rotary and then mud rotary, so no.

19 Q. Okay. Did they look for the presence of
20 faulting?

21 A. No.

22 Q. Okay. So we don't know to what extent it's
23 fractured -- at least from those reports -- the basalt?

24 A. No.

25 Q. Okay. And is that due in part to the purpose of

1 drilling wells of that type, where they're production
2 wells rather than for environmental monitoring or
3 sampling?

4 A. Right. Yeah. Your objective is to get a good,
5 clean, straight borehole, you know, deeper than 500 feet
6 if you're putting a supply well in.

7 Now, the degree you would consider -- to which
8 you'd consider some layers like this is, are you going
9 to -- you know, if you're drilling mud rotary, I mentioned
10 how you can lose air to something that's really permeable,
11 right? Well, you can lose mud too, so you want to concern
12 yourself with that.

13 You don't want to get to like 400 feet and hit a
14 highly fractured basalt and lose circulation because, you
15 know, that can risk your borehole.

16 And so there's instances around Sante Fe where
17 to do wells this deep you actually had to do casing
18 advancement so that you can hold everything in, and -- and
19 you've got a steel borehole to come all the way to the
20 surface to return your fluids.

21 Q. Okay. Let's talk a little more specifically
22 about S & R's site.

23 I believe you testified that you understand they
24 discharge about six inches in each cell; is that right?

25 A. Making some calculations, it's about six to nine

1 inches of water per year each cell gets --

2 Q. Okay.

3 A. -- in -- in septage.

4 Q. That was my next question is, how did you come
5 to those numbers?

6 A. So -- so I went into Google Earth and I measured
7 the areas of -- of the lagoons that are actually -- the
8 cells now that are actually in the new configuration.

9 I -- I measured those and added them up, and
10 then I took the 500,000 gallons a year -- which was in
11 Mr. Hansen's testimony as well -- and when you apply that,
12 it comes out to that amount of water.

13 Q. Okay. So you testified to the 2000 Duke
14 Engineering report, and I believe you were relying on
15 Figures 7 and 9 to estimate some future infiltration?

16 A. Right.

17 Q. Okay. And those figures, are they not
18 calculated or calibrated for land disposal facilities?

19 A. That I'm not aware of.

20 Q. Okay. Are there -- do you recall seeing other
21 figures -- such as 17 and 19 -- that are more akin to
22 S & R because they're impoundment facilities?

23 A. No.

24 Q. Okay. If they are, in fact, there, wouldn't
25 that be a better predictor of how far the contamination

1 may have infiltrated?

2 A. The -- the INTERA report -- I am not placing
3 the -- the basis for our proposed modification on the
4 INTERA report.

5 I'm basing it on actual field measurement of
6 chloride and nitrate infiltration, and then we'll come
7 back and back check how that looks relative to the INTERA
8 model for completeness.

9 But from my perspective, with an issue like
10 this, we need to find where the bottom of the chloride
11 front is, because that's going to tell us how deep our
12 infiltration has gone.

13 And again, if it's gone to great depth, we
14 contemplate closure. If it hasn't, then, you know, it
15 adds some validity to the INTERA model, but it also shows
16 that it's gone 45 feet, 50 feet. Whatever it has gone, we
17 will figure that out.

18 Q. Okay. And I believe this is my last question.

19 You -- I think you testified that you hadn't --
20 weren't aware of any other examples that used the same
21 testing protocols, what's been written into the draft
22 permit; is that right?

23 A. That soil physical properties every five feet
24 and five boreholes over this area to a hundred feet, I am
25 not.

1 Now, that said, if we were citing a hazardous
2 waste landfill, that would be a different matter.

3 Q. Okay.

4 A. I mean, that's where you need -- I mean, if --
5 if you need that level of, you know, protection from
6 infiltration, that might be a case where you would do
7 that.

8 Los Alamos may have some examples where they've
9 had to do that on some facilities, but I've never -- I've
10 never encountered anything like this on a waste site.

11 Q. Are you aware of the 2000 Shomaker report that
12 was sort of the predecessor to the Duke Engineering?

13 A. I'm -- I'm familiar with it. I haven't reviewed
14 it.

15 Q. Okay. So you're not sure if it might have the
16 same protocols in it?

17 A. It -- it may. It may and -- but who was
18 Shomaker working for?

19 Q. I'm asking the questions. You tell me.

20 A. I don't -- I don't know -- I don't know who
21 contracted.

22 THE WITNESS: Did -- did you contract Shomaker?

23 MR. RAEL: It would have been the State that --

24 A. It would have been the State, so that's a State
25 specification, yeah, and the State was paying for it,

1 so --

2 Q. And -- and what's the implication there?

3 A. If -- if they wanted data to that degree --
4 particularly for the purpose of doing a vadose zone
5 leaching modeling -- I can understand it.

6 These -- but I mean, there's some other analyses
7 if you're going to do vadose zone leaching modeling. Like
8 saturated hydraulic conductivity is not as important as
9 like moisture retention curves, so I'm not sure I
10 understand this regimen altogether.

11 Q. I think ultimately what I'm getting at is,
12 there -- there is some precedent for doing this type -- at
13 least if you accept my -- my assertion that the 2000
14 Shomaker report has the same protocols, regardless of the
15 source it came from.

16 A. Right, but from the standpoint of -- but that's
17 for supporting a model development.

18 From the standpoint of characterizing a site,
19 again, ASTM does not suggest you do it at that frequency.
20 ASTM suggests that you adequately -- adequately
21 characterize each soil horizon that you have.

22 MR. JOHNSON: Okay. Thank you. No more
23 questions.

24 THE WITNESS: Yes.

25 HEARING OFFICER ORTH: Thank you, Mr. Johnson.

1 Mr. Brockmann, do you have questions?

2 MR. BROCKMANN: No questions for El Prado.

3 Thank you.

4 HEARING OFFICER ORTH: Thank you.

5 Mr. Smith?

6 MR. SMITH: No questions.

7 HEARING OFFICER ORTH: All right. Does anyone
8 have a question?

9 Madam, please give us your name first.

10 MS. LESLIE: My name is Mary Lane Leslie.

11 CROSS-EXAMINATION

12 BY MS. LESLIE:

13 Q. Mr. Snyder, you're being paid as an expert,
14 correct?

15 A. Yes.

16 Q. And you're being paid by S & R?

17 A. Yes.

18 Q. So you just intimated that the State's report
19 would have been influenced by the fact that it was hired
20 and paid for by the State of New Mexico.

21 Is that true about your own report, that you're
22 biased towards Mr. Rael?

23 A. No. What I said was that the State's
24 specification on those samples was -- was probably
25 dictated by the data needs to do the leaching modeling.

1 Q. And your criteria that you are using is supposed
2 to show that Mr. Rael is not creating any kind of a hazard
3 to our neighborhood; is that correct?

4 A. Any kind of hazard to the subsurface,
5 particularly protection of groundwater.

6 Q. Okay. So your opinion was -- is that there
7 is -- that this is not hazardous waste.

8 Is liquid waste -- i.e., septage -- is it
9 hazardous waste as defined by the New Mexico Environmental
10 Improvement Act?

11 A. I never commented on the nature of the waste.

12 Q. You -- you did say that this -- that there was
13 no hazardous waste. I wrote it down when you said it.

14 A. This is not, by definition, hazardous waste --

15 Q. Okay. So --

16 A. -- according to the Resource Conservation and
17 Recovery Act.

18 Q. Right. So hazardous waste does not include
19 liquid waste, but would you say that liquid waste is in no
20 way a danger to public health --

21 A. Absolutely --

22 Q. -- and safety?

23 A. Absolutely not. It is waste --

24 Q. You would not say that?

25 A. -- it is regulated waste, and we need to follow

1 those rules.

2 Q. All right. So -- so you are being paid as an
3 expert.

4 Would you please tell us what your hourly rate
5 is?

6 A. On this project I think it's \$215 an hour.

7 Q. And do you have an idea of how many hours you've
8 put in so far --

9 A. I have --

10 Q. -- including -- including today?

11 A. Right. And -- well, and Mr. Marley, whose
12 resume was in our testimony, was involved as well, and I
13 think -- I think we're at \$11,000 or something, and that
14 included the sampling and the field work.

15 Q. Okay. So then you would add to that maybe six
16 or eight hours for today?

17 A. Yes.

18 Q. All right.

19 A. Well, no, that's not add -- that's inclusive.

20 Q. All right. So the 178,000 for five boreholes,
21 how many for just one with all of the things that you're
22 supposed to test?

23 You did have a chart up up there and it's not up
24 there now, so I can't ask about specific items.

25 A. Right. So -- so if I -- if I drill with hollow

1 stem auger, by the time I plug it and everything, it's
2 probably 50 bucks a foot.

3 If I drill with sonic, it's probably 70 bucks a
4 foot plus mobilization, demobilization, which would add
5 five to ten grand to the project.

6 If we go to 100 -- let's say we have to go to
7 150 feet through the basalt. At 50 bucks a -- well, that
8 would have to be done with the sonic, so that would be
9 what, seven thousand, ten, and then maybe ten, so like
10 20,000 bucks for the borehole.

11 Q. Would you bring back up the chart that you had
12 that showed the individual costs?

13 A. Yes.

14 Q. Okay. So that first line for 15,000, does that
15 count for just one well?

16 It says -- under number it says one, so is that
17 15,000 part --

18 A. No, that's --

19 Q. -- of drilling --

20 A. -- that's --

21 Q. -- one borehole?

22 A. -- that's if we have to -- I'm sorry; that's if
23 we have to process all one hundred soil physical property
24 samples and all one hundred other samples and -- and --
25 and do five bore logs, and that's -- that's related to the

1 scope that the State has.

2 Q. Okay. So if you just do one, would the cost be
3 \$50,000 with all the same things you have to do and with
4 your report and with everything else that Mr. Rael would
5 have to pay for?

6 A. Fifty thousand would cover it. Maybe forty
7 thousand.

8 Q. Okay. Does that include the cost so far of
9 the -- of the air rotary drilling that failed?

10 A. No.

11 Q. All right. How much did that cost?

12 A. I don't know. Mr. Rael paid the driller
13 directly.

14 Q. Okay. And how far did you get with that
15 sampling?

16 A. I think to like 25 feet or whatever.

17 Q. Okay. All right. Have you ever testified for
18 S & R before?

19 A. No.

20 Q. Have you ever testified for opponents of this
21 type of a discharge permit?

22 A. No.

23 Q. You always testified for the discharge permit.

24 Would you want, Mr. Snyder --

25 MR. DOMENICI: Do you want -- do you want him

1 to answer?

2 BY MS. LESLIE:

3 Q. -- would you want open unlined pits --

4 MR. DOMENICI: I want to make an objection.

5 COURT REPORTER: Wait. One at a time. One at a
6 time, please.

7 MR. DOMENICI: I want to make an objection. So
8 the questioner makes a statement, testifying -- unless
9 it's actually a question -- and then she doesn't let an
10 answer occur, so I would ask to strike that question or
11 statement, or treat it as a question and allow an answer.

12 HEARING OFFICER ORTH: Right. So Madam, do you
13 remember you did that? You made the statement, I guess
14 you always testify on behalf of the Applicants then, but
15 then you didn't give him an opportunity to answer you.

16 BY MS. LESLIE:

17 Q. Would you please answer that, Mr. Snyder?

18 A. On -- on discharge planning hearings, it's been
19 on behalf of the Applicant, but again, I'll go back in my
20 original qualifications.

21 I work directly for the Environmental Protection
22 Agency. I'm working for the Environmental Protection
23 Agency doing oversight on the closure up at Questar. In
24 that case I'm working for the regulator, not Chevron
25 Mining.

1 Q. Is --

2 A. So -- so I work for -- I work for who retains me
3 and pays me, and my testimony is based on, you know, what
4 I see and -- and the technical basis, and I'm not swayed
5 one way or the other.

6 Q. But you did think that the State's testimony
7 might be swayed because they set the criteria for what
8 they wanted tested?

9 A. I think that the State's scope -- and again,
10 this is professional judgment -- I think that the State's
11 scope -- which might have been comparable with respect to
12 every five feet -- was to support the model that then
13 INTERA did.

14 Now, if the State said they wanted to do this
15 because they wanted us to do a whole bunch of vadose zone
16 modeling, that's a whole different condition and a whole
17 different -- but -- but -- but when you collect data,
18 question number one is, how are you going to use that --
19 how are you going to use that data, and then when you
20 derive decisions from that data, how are you going to do
21 that.

22 So you have if/then statements. If the soil --
23 and -- and -- and I'll -- I'll give you an if/then
24 statement for something I've already testified to.

25 So if the soil has no nitrate or chloride at 50

1 feet and if the soil has no nitrate or chloride at 60
2 feet, and if the soil has -- at 70 feet has no nitrate or
3 chloride contamination, then do we or do we not have
4 complete vertical delineation, or maybe it's at 50, 70,
5 and 90. I -- I've got to work with the State on that.

6 But -- but you don't collect data for the sake
7 of collecting data. You collect data to make decisions
8 and -- and make sound decisions.

9 And -- and within the world of EPA -- and -- and
10 it's even within some of the NMED rules -- you -- you
11 develop data quality objectives and quality assurance
12 plans to make sure that -- that you collect sufficient
13 data, defensible data, and enough data to answer the
14 questions that you're trying to answer -- not half as
15 much, but -- but certainly you don't need 300 times as
16 much either.

17 Q. Uh-huh. Okay. So would you agree that this pit
18 is not a treatment facility for septage?

19 A. Would I agree it's not a treatment facility for
20 it?

21 Q. Right.

22 A. I believe they do a lime treatment when they
23 discharge it.

24 Q. Do you think that it's sufficient to make it
25 safe?

1 A. I -- I think that that protocol follows EPA
2 guidelines --

3 Q. Okay.

4 A. -- and probably some State guidelines as well,
5 but I'm not familiar with them.

6 Q. Are you familiar with the --

7 COURT REPORTER: I'm sorry; are you familiar
8 with the what?

9 MS. LESLIE: I'm sorry.

10 BY MS. LESLIE:

11 Q. -- the EPA Guide to Septage Treatment and
12 Disposal, which is a guide for all persons -- including
13 the states, municipalities, counties, and individuals --
14 responsible for the handling of septage? Are you familiar
15 with that guide?

16 A. And so I'm -- I'm going to go back to my
17 introduction. I am testifying about conditions 20 and 21,
18 subsurface investigation and determining the nature and
19 extent of chloride and nitrate that have leached from
20 these lagoons.

21 I did not prepare myself whatsoever with respect
22 to the surface operational requirements and treatment
23 requirements that are in the discharge plan --

24 Q. Okay.

25 A. -- because, I mean, this -- they're in the

1 proposed plan. I have no basis to contest them. I didn't
2 suggest any changes to them.

3 Q. Okay. So you would not have any kind of expert
4 testimony to deny that providing adequate treatment and
5 disposal systems is to protect public health and the
6 environment as septage may harbor disease-causing viruses,
7 bacteria, and parasites?

8 A. I'm not a toxicologist, nor a pathologist.

9 Q. Are you a biologist?

10 A. No.

11 Q. So how do you know about the plants that you
12 testified --

13 A. Because I studied agriculture and forestry for
14 years, and I have had classes in agronomy and crop
15 science.

16 Q. How long --

17 COURT REPORTER: I'm sorry --

18 A. I am not an expert.

19 COURT REPORTER: I'm sorry; you've had classes
20 in what?

21 THE WITNESS: Agronomy and crop science.

22 A. I'm not an expert, nor do I -- nor do I purport
23 to be an expert.

24 Q. Did -- did you actually go out to the septic
25 site, to the sewage pits?

1 A. No.

2 Q. Okay. So you don't know what kind of plants are
3 growing out there?

4 A. No.

5 Q. All right. Okay. So you do agree that liquid
6 waste is a nonhazardous waste under the ORCR?

7 A. By definition, yes.

8 Q. All right. Okay. But you're not familiar with
9 the guide, even though it covers things like the -- the
10 testing of a septic site?

11 A. I -- I came to testify on conditions 20 and 21.
12 Those were the only proposed changes that we made.

13 Q. Okay. Well, the guide does speak to that, but
14 you're not familiar with the guide is your answer; is that
15 correct?

16 A. Not -- not intimately, no.

17 MS. LESLIE: Okay. All right. Thank you.

18 HEARING OFFICER ORTH: Thank you.

19 Mr. Hansen, did you say you -- indicate that you
20 have questions?

21 MR. HANSEN: Yeah, I've got just a few.

22 CROSS-EXAMINATION

23 BY MR. HANSEN:

24 Q. I, unfortunately, didn't get a copy of your
25 report, and I wondered where that borehole was in

1 relation --

2 A. We -- we put it in cell seven.

3 Q. Which is where?

4 A. One, two, three, four, five, six -- so it's this
5 one right in here.

6 Q. Okay.

7 A. It -- it took a lot of --

8 COURT REPORTER: I'm sorry; it took a lot of --
9 you're going to have to speak up. It took a lot of --

10 THE WITNESS: Well, I'm pointing to something.

11 A. But cell seven is in the southeast corner of the
12 facility, and -- and it's in an area where Mr. Hansen
13 showed some of that earlier ponded water with -- with the
14 sloped surface, because they were -- they had a --

15 Q. You --

16 A. -- slight slope on the -- on the impoundments --

17 COURT REPORTER: They had a what?

18 THE WITNESS: A slight slope.

19 A. -- but it was in this area here.

20 Q. Okay.

21 A. We -- we suspect this area here too, so I mean,
22 we want to gather whatever information we can and discuss
23 it with the State.

24 Q. All right. It seems like -- to me, it seems
25 like a better place for a borehole -- that's sort of

1 peripheral to what I can see on air photo is the main body
2 of the septic cells out in the center over there, so I --
3 I wonder if there might be heavier concentration of
4 nitrates -- deeper concentrations if you actually drilled
5 more in the center of the -- of the, you know, the --

6 A. Right.

7 COURT REPORTER: The what? I'm sorry; of the
8 field as well? Is that what you said?

9 MR. HANSEN: Of the septic field.

10 BY MR. HANSEN:

11 Q. If you drilled more in the center of the septic
12 field rather than kind of on the periphery of it.

13 A. Well, but they're -- but they -- they are
14 divided cells, so we went into the cells that had ponded
15 loading in them.

16 But again, I'm amenable -- we can put together a
17 recommendation. I'm amenable to a back and forth on it
18 until we can agree on, let's do it here.

19 I -- I do not have -- I do not have any
20 preconceived notions as to where that borehole should go.
21 If -- I'm not familiar with every concern over the life
22 span of this facility. If people have anecdotal
23 information, we'll take that into consideration.

24 I want to put it where we can answer the
25 question and people are comfortable with the question

1 getting answered.

2 Q. Right. It does look like to me that there is a
3 slope in toward this old arroyo on either side --

4 COURT REPORTER: I'm sorry; you're going to have
5 to speak into the microphone. On either side --

6 BY MR. HANSEN:

7 Q. On either side of that old arroyo, and it would
8 make it seem like seepage through this -- through --
9 through this cell might make those nitrates come out a
10 little bit deeper than what you've showed in --

11 COURT REPORTER: I'm sorry, sir; could you
12 please speak into the microphone? I can't hear you.

13 MR. HANSEN: Okay.

14 BY MR. HANSEN:

15 Q. I think if you put a borehole in the center, it
16 would show different things than something on the
17 periphery, maybe some -- maybe a little bit more
18 concentration of -- of the nitrates and at a deeper --

19 MR. DOMENICI: Madam Hearing Officer, can I mark
20 this document as Exhibit Snyder 1-7 so there will be
21 something in the record to confirm what they're
22 discussing?

23 HEARING OFFICER ORTH: Thank you for that. Yes.

24 Are -- are those all of your questions,
25 Mr. Hansen?

1 BY MR. HANSEN:

2 Q. I guess the other thing that strikes me is, if
3 you're going to take one borehole to the basalt, A, you're
4 not going to see much of the basalt probably, but B,
5 it's -- it's really not much aerial coverage that you're
6 looking at. You're looking at one borehole down to the
7 basalt.

8 And, you know, are there close -- close-by
9 faults that might channel some of this --

10 COURT REPORTER: Are there what? I'm sorry.

11 MR. HANSEN: Close-by faults.

12 BY MR. HANSEN:

13 Q. -- that might channel some of this effluent?

14 Where -- where -- I'm trying to argue that it
15 may be better to look at an aerial coverage through some
16 of the geophysical means than just one -- one particular
17 borehole.

18 A. I think that in the alluvium -- I think that in
19 the top 100 feet, the -- the way the -- the infiltration
20 spreads and -- and migrates vertically is going to be
21 fairly predictable.

22 And -- and if the basalt is, you know, say, at
23 105 feet and we sample the alluvium at 100 feet and it's
24 impacted, then our next step is to drill through the
25 basalt to see if it's leached through the basalt, as was

1 your concern in your testimony.

2 And to -- to immediately answer that question --
3 have we -- have we leached to that depth -- we don't have
4 any indication yet that we've got that kind of a problem,
5 but if we do, we want to know, because again -- and --
6 and -- and I've said this on, you know, some of the dairy
7 operations over by Clovis where it's 350 feet to
8 groundwater -- if -- if you -- you know, you don't want
9 to -- you don't want to contaminate 350 feet of vadose
10 zone -- or in this case 500 feet of vadose zone -- and
11 then find out you've got a problem, because then you've
12 got a big problem.

13 You've got a lot of mass of contaminant in the
14 vadose zone, and it will take it a long time to slowly
15 drain out.

16 Q. Right.

17 MR. HANSEN: Okay. Thank you.

18 HEARING OFFICER ORTH: Okay. Thank you,
19 Mr. Hansen.

20 Is there anyone else with a question of
21 Mr. Snyder based on his testimony?

22 MR. DOMENICI: I have some redirect for him.

23 HEARING OFFICER ORTH: All right. If you would,
24 please, Mr. Domenici.

25 REDIRECT EXAMINATION

1 BY MR. DOMENICI:

2 Q. Mr. Snyder, will you turn in that book there and
3 look at page 00844?

4 A. Yes.

5 Q. At the bottom paragraph starting with, in
6 addition --

7 A. Yes.

8 Q. -- will you read that, sir?

9 A. In addition, the facility is located in the
10 vicinity of the Los Cordovas Fault. Faults have been
11 mapped in the area in a north-south orientation and may
12 extend thousands of feet downward -- and that was a
13 personal communication from Paul Bauer down at TAD.

14 The area in which the facility is located can be
15 characterized based upon the extrapolation of data from
16 recent mapping of the region at the southern end of the
17 Los Cordovas Fault as an area where faulting is more
18 extensive than previously recognized.

19 There is significant fracture of the bedrock,
20 and in general, the fractures are not cemented.

21 Q. Have you seen anything in the Drakos report or
22 the El Prado well log that adds to that description that
23 was provided by NMED in the prefiled testimony or the
24 summary of testimony of Fred Kalish in 2002?

25 A. Not that I recall. Not that I recall, and -- I

1 mean, and Paul provides a good description here with
2 respect to ramifications to permeability.

3 The fractures are open. It's highly fractured.
4 I expect it to be quite permeable. I would not -- I would
5 not expect it to stop anything, put another way.

6 So -- so what we want to know is, are we even
7 there? We're not supposed to be there. So how deep does
8 our infiltration go so far?

9 Q. Well, what I want to know is whether this
10 statement, which states, as an area where faulting is more
11 extensive than previously recognized -- which did
12 recognize that in 2002 -- whether you've seen anything in
13 the NMED Notice of Intent that indicates it's even more
14 extensive than previously recognized, but was recognized
15 in 2002?

16 A. No. No. And I mean, and -- and if there was a
17 concern regarding, you know, fracturing in the faulting,
18 what you need is right there in that paragraph. It should
19 have been explored a long time ago if it was truly a
20 significant concern.

21 But I think that the 100 feet of alluvium
22 ameliorates some of that concern, because again, the
23 basalt only comes into play if we've had leachate all the
24 way down to it.

25 Q. Now, you had -- you testified a lot on drilling.

1 For the two drilling logs that you attached to
2 your testimony, what was the drilling method -- if you
3 know?

4 A. The one was air mud rotary, and I think -- I
5 suspect the other one was too. Hold on a second.

6 This one was air rotary and then mud rotary, and
7 this one was -- well, it's Fennell Drilling Company.
8 Well, rotary.

9 COURT REPORTER: I'm sorry; what?

10 MR. DOMENICI: Rotary.

11 A. It just says rotary. Probably mud rotary to get
12 to those depths.

13 Q. So do either of those drilling techniques
14 indicate that the driller or the person hiring the driller
15 had enough concern that they would encounter a fault and
16 lose the entire value of the rotary drilling, therefore
17 they would use some other drilling technique that would
18 protect the hole if there was faulting?

19 A. No. And in fact, the second one -- the one I've
20 got up right now -- they started it on November 10th,
21 2005, and they were done on the 18th, so it took eight
22 days to put in.

23 The first one they started on June 11th, '02,
24 and they completed it on the 28th of June, so it took
25 twice as long.

1 Q. And were they both successfully completed as per
2 the well log?

3 A. Yes. Yeah. The first one was drilled to 800
4 feet, and the second one, 657.

5 Q. And neither of them encountered faulting that
6 interfered or basically required them to turn to some
7 other drilling method?

8 A. Yeah, there's not an indication of that, but I,
9 you know --

10 MR. DOMENICI: That's all I have.

11 HEARING OFFICER ORTH: All right. Thank you.

12 Is there any reason not to excuse Mr. Snyder at
13 this time?

14 MR. JOHNSON: Can I do one recross?

15 HEARING OFFICER ORTH: All right, Mr. Johnson.

16 MR. JOHNSON: Mr. Snyder, just one quick
17 question.

18 RE CROSS-EXAMINATION

19 BY MR. JOHNSON:

20 Q. You're aware that El Prado and the Waste
21 Management site both drilled wells -- new production
22 wells -- since 2012?

23 A. Yes. I'm familiar, yeah.

24 Q. Okay, because part of what we're kind of
25 debating tonight is, you know, how much might have changed

1 since the previous permit.

2 Would that cause some significant change in the
3 hydrology or the geology?

4 A. Not from my perspective, because again, from my
5 perspective, this is a vertical problem unless I find
6 something that -- that hasn't been encountered before,
7 which would be like a perched layer.

8 Q. Would production wells like this, though --

9 A. No.

10 Q. -- draw out a significant amount of water from
11 where they had drilled to?

12 A. Well, they would only draw out water if I had
13 leachate that went all the way down to 500 feet, so I'd
14 have to leach all the way down to 500 feet, then I could
15 be influenced by those wells.

16 Q. Okay. But the wells themselves that are drilled
17 are taking -- they're -- they're production wells, so
18 they're taking water out of the aquifer, right?

19 A. Right.

20 Q. Okay. And that's a -- is that not a relevant
21 change since 2012?

22 A. Well, so -- so I could have a potentially
23 complete pathway if I've got leachate that goes all the
24 way to the groundwater, enters the groundwater, and then
25 is drawn towards that well.

1 That -- that's absolutely significant, but that
2 would require that I've got leachate at 500 feet, and --
3 and again, that's the question that needs to be answered.

4 MR. JOHNSON: Okay. Thank you.

5 THE WITNESS: Yep.

6 HEARING OFFICER ORTH: Thank you.

7 All right. Again, any -- Mr. Hansen?

8 MR. HANSEN: I just have one more.

9 RECROSS-EXAMINATION

10 BY MR. HANSEN:

11 Q. The two wells you're -- excuse me -- the two
12 wells you're talking about, where are they again? Can you
13 show that map of --

14 A. Yeah, let me -- give me just a second.

15 HEARING OFFICER ORTH: We have a black screen,
16 Mr. Snyder, so I think Mr. Hansen is going to have to come
17 toward where you are to see it.

18 MR. HANSEN: Okay.

19 A. This is 78139 --

20 COURT REPORTER: Could you use the microphone,
21 please?

22 A. -- and this is 85934. I'm sorry; that was --
23 so -- so these are located south of the facility maybe 300
24 to 400 feet.

25 MR. BROCKMANN: Could -- could I ask also for

1 the record that he'd identify which particular map he's
2 looking at?

3 HEARING OFFICER ORTH: Yes, please, Mr. Snyder.

4 THE WITNESS: In my -- in my testimony, this is
5 page -- it's the first page of Exhibit 2.

6 MR. BROCKMANN: Thank you.

7 BY MR. HANSEN:

8 Q. Okay. I've been out in the field looking for
9 those two wells specifically, and they're not there.

10 Those -- one of those wells is a Waste
11 Management well, which is actually down over here, located
12 quite a bit further away, and the other one, I think, is
13 in -- on the -- on the mesa someplace.

14 COURT REPORTER: I'm sorry; is where?

15 MR. HANSEN: Is in -- on the mesa someplace.

16 BY MR. HANSEN:

17 Q. I wasn't able to figure out the exact location
18 of that well, but I don't know if that makes a difference
19 or not, but --

20 A. These are -- these are as reported in the Office
21 of the State Engineer.

22 Q. Right. That's right, and -- and the -- the --
23 the State Engineer database is quite often inaccurate,
24 according to Tony Benson.

25 I just wanted to say that if that has any

1 bearing on this, those wells are -- are not where they
2 are -- where they're cited.

3 A. Our -- our -- and -- and again, our principal
4 purpose was to try to get a handle -- our principal
5 purpose was to try to get a handle on the anticipated
6 depth to basalt.

7 Q. Right.

8 A. If -- if they're misplotted, they're -- they're
9 misplotted. I think I've read, you know, that basalt can
10 be encountered anywhere between 30 feet and 100-some feet
11 out here. If we've got basalt at 40 feet, we'll find it.

12 Q. Yeah.

13 MR. HANSEN: Okay. Thanks.

14 HEARING OFFICER ORTH: All right. Any reason
15 not to excuse Mr. Snyder at this point?

16 Sir, if you would come up to the podium and give
17 us your name first.

18 MR. DOMENICI: I had -- I had redirect based on
19 the recross.

20 HEARING OFFICER ORTH: Okay. I'm going to ask
21 this gentleman --

22 MR. DOMENICI: Sure.

23 HEARING OFFICER ORTH: -- first.

24 MR. DOMENICI: Sure.

25 MR. MONDRAGON: Hello. My name is Norbert

1 Mondragon.

2 COURT REPORTER: I'm sorry?

3 MR. MONDRAGON: Norbert Mondragon.

4 RECROSS-EXAMINATION

5 BY MR. MONDRAGON:

6 Q. I would like to ask that -- the question that
7 was asked by Mr. Domenici of Mr. Snyder on whether this
8 posed a health risk -- a public health risk -- be modified
9 to state that the testimony given by Mr. Snyder is based
10 only on the groundwater concerns and does not address
11 hydrogen sulfide and the airborne pathogens that will be
12 created by the air quality impact that many of us are here
13 to ask about, so if we could ask that that be modified?

14 HEARING OFFICER ORTH: All right. So
15 Mr. Snyder, the question is whether your understanding of
16 whether this facility poses a risk to public health or
17 safety includes a consideration of the potential airborne
18 contaminants that Mr. Mondragon mentioned.

19 THE WITNESS: It does not.

20 BY MR. MONDRAGON:

21 Q. Specifically, your answer is that it does not
22 pose a risk to health?

23 A. No, no, no.

24 HEARING OFFICER ORTH: He's --

25 A. I -- I -- I'm sorry; let me rephrase -- let

1 me -- let me give you a more complete answer.

2 Q. Thank you.

3 A. The -- my testimony is with respect to
4 protection of groundwater, which is 20.6.2 of the New
5 Mexico Administrative Code. It's the rule that this
6 hearing is under and the permit is under.

7 The air quality issues I -- I will provide no
8 testimony to and have prepared no testimony to or, you
9 know, whether or not there's pathogens in the septage or
10 any -- any of those surface issues.

11 My testimony only included protection of
12 groundwater.

13 Q. I understand that. I would just like for the
14 record to reflect that when you say that it does not
15 risk -- it does not pose a risk to public health.

16 A. That's correct, and that's an appropriate
17 correction. Thank you.

18 MR. MONDRAGON: Thank you.

19 HEARING OFFICER ORTH: Thank you.

20 Any reason not to -- oh, Mr. Domenici, you had a
21 follow-up.

22 FURTHER REDIRECT EXAMINATION

23 BY MR. DOMENICI:

24 Q. I was trying to understand the recross, I think,
25 from NMED. Let me just ask it a different way.

1 If there are -- so we have S & R. We have the
2 cells. We have a method of using those cells. Five
3 hundred feet down we have two wells that are completed to
4 eight hundred feet, but are screened at, say, six hundred
5 to eight hundred, and then two more wells are put in --
6 the same thing.

7 Does that make any difference on the rate that
8 the effluent or the way it would travel through the vadose
9 zone?

10 A. None whatsoever.

11 MR. DOMENICI: Thank you.

12 HEARING OFFICER ORTH: Okay. Now, is there any
13 reason not to excuse Mr. Snyder?

14 Thank you very much, Mr. Snyder.

15 We've now gone a few minutes past two hours. We
16 do need a break. Let's take ten minutes.

17 When we come back, I would like to invite
18 whatever public comment people who have any kind of time
19 constraints or don't want to wait for the next technical
20 witness to end to give -- and I'm sorry for the
21 interruption in your presentation, Mr. Domenici, but
22 it's -- it's -- we've been going long already.

23 MR. DOMENICI: Well, we -- we have a similar
24 situation that you accommodated previously, which is, our
25 next witness has to leave, and he's very short. He's our

1 well driller.

2 HEARING OFFICER ORTH: Okay.

3 MR. DOMENICI: And he -- my direct will be five
4 minutes. I'm not sure what the cross on it will be.

5 HEARING OFFICER ORTH: Okay. I'm sorry then.

6 I -- I should have asked rather than made a statement.

7 We'll hear from the well driller then, and then I will
8 invite whatever public comment there is to be given by
9 folks who want to give it. Thank you.

10 MR. DOMENICI: So after -- after the break?

11 HEARING OFFICER ORTH: Yes, after the ten-minute
12 break.

13 MR. DOMENICI: Okay. Thank you.

14 (Recess was held from 9:24 p.m. until 9:37 p.m.)

15 HEARING OFFICER ORTH: Let's go back on the
16 record, please.

17 Mr. Domenici, who are we going to hear from
18 next?

19 MR. DOMENICI: Mr. McCann.

20 HEARING OFFICER ORTH: Mr. McCann, would you
21 raise your right hand?

22 JIM McCANN,
23 having been first duly sworn, testified as follows:

24 HEARING OFFICER ORTH: Thank you.

25 MR. DOMENICI: Before I do this, Madam Hearing

1 Officer, I'd move into admission Snyder Exhibits 1
2 through 7 -- 1 -- 1-1 through 1-7.

3 HEARING OFFICER ORTH: Are there objections?

4 MR. JOHNSON: No.

5 MR. BROCKMANN: No objection.

6 HEARING OFFICER ORTH: Okay. I hear no
7 objections --

8 MR. JOHNSON: No objection.

9 HEARING OFFICER ORTH: -- from any of the other
10 parties. They are admitted.

11 (Snyder Exhibits No. 1-1 through 1-7 admitted
12 into evidence.)

13 DIRECT EXAMINATION

14 BY MR. DOMENICI:

15 Q. Mr. McCann, how long have you been a well
16 driller, sir?

17 A. I've been licensed in the state of New Mexico at
18 least four years.

19 Q. Can you give us a ballpark how many wells you've
20 drilled?

21 A. Just in New Mexico, hundreds. I've been
22 licensed in other states also, so --

23 Q. And in the vicinity of the S & R facility, have
24 you had the opportunity to drill drinking water wells?

25 A. Close by, within 100 yards.

1 Q. Will you look at the exhibit in front of you,
2 which is McCann Number 1?

3 A. Okay.

4 Q. Are you familiar with this well, sir? It's --
5 it's the Plyer, LLC, well.

6 A. Well, I know the driller and I drilled across
7 the street from him, so I'm familiar with what he
8 experienced.

9 Q. What did -- which well did you drill across the
10 street?

11 A. Where the Mesa Brewery is. It's a different
12 log. I don't know if you have that in there.

13 Q. Turn to Exhibit 2, if you will. That's the
14 Fennell Drilling, so that's another well drilled by --

15 A. By a --

16 Q. -- another well driller.

17 A. -- previous well driller. It's down by Tune
18 Drive. It's just a few hundred yards from, say, the
19 Cook -- Cook well.

20 Q. And look at Exhibit 3.

21 Did you drill the Waste Management well that
22 they're currently using?

23 A. Yes, I did.

24 Q. Did you create a log?

25 A. Yes.

1 Q. Is that the second page of Exhibit 3?

2 A. Okay.

3 Q. That's your log?

4 A. Yes, and my signature.

5 Q. And that shows that the black basalt was
6 encountered at 110 feet?

7 A. Yes, it does.

8 Q. And above that is a hundred and two feet --
9 thickness from eight feet to a hundred and ten feet of
10 brown clay and -- brown gravel and clay?

11 A. Yes, and a little white caliche in there also.

12 Q. How close is that, approximately, to the S & R
13 site?

14 A. Close. A few hundred yards, I'd say.

15 Q. And if you look at McCann Exhibit 2, which is
16 the Fennell well -- well, let me ask you this: So you
17 said you drilled a well at the -- the brewery?

18 A. Yes.

19 Q. How close is that to Waste Management?

20 A. You can throw a stone.

21 Q. And was that -- was the well log similar to that
22 in terms of the depth to the basalt?

23 A. Pretty much so. We just went deeper because the
24 management of Waste Management, they had a problem well
25 from another drilling company, and so we had to cement

1 that well and drill this new well.

2 And because they were afraid of losing water
3 again, they had me go deeper. That's the only reason why
4 it's an 800-foot well.

5 Q. But as far as when you encountered basalt, was
6 that similar to the --

7 A. Yes.

8 Q. -- Waste Management well?

9 A. Yeah. If you compare their logs, they're pretty
10 close.

11 Q. Did you encounter perched water in either of
12 these wells?

13 A. No, never.

14 Q. Have you encountered perched water in any wells
15 you've drilled, say, within a half mile of S & R?

16 A. No. The only perched wells that I can recall is
17 closer up in the mountains, like in El Salto or wherever.

18 Q. And how would perched water show up on the well
19 log?

20 A. Generally, you lose circulation on some of it
21 and you might put perched water, because a lot of times it
22 dries up right away as you're drilling.

23 Q. Do you talk to other drillers about drilling
24 experiences or conditions?

25 A. Yes.

1 Q. Does that --

2 A. Yes.

3 Q. -- help you know what to expect when you drill?

4 A. Yes -- especially if you're in an area that
5 you've never drilled and experienced what's there, you
6 know, someone that has done that, we -- we communicate.

7 Q. And do you read drill logs from other -- do you
8 look at drill logs from other drillers?

9 A. Yeah, because that's -- this is all -- with the
10 State of New Mexico, it's public information, so you can
11 get it online -- most of it.

12 Q. Are you aware of any perched water -- regardless
13 of who drilled -- within a half mile -- being encountered
14 within a half mile of S & R?

15 A. Not that I know of. Not for me anyway.

16 Q. And if you'll look at the log on Exhibit --
17 McCann Exhibit 2 for Fennell Drilling, on the -- that's on
18 the second page -- and I know you might not have your
19 glasses, so I'm going to read this to you.

20 So on the log -- turn -- turn that page -- on
21 the log it shows that the black basalt starts at 106 feet
22 and is 30 feet deep.

23 A. Yes.

24 Q. Is that similar to what you've encountered?

25 A. Yeah, it's similar.

1 Q. And if you'll look at the McCann Exhibit 1,
2 which is another log -- so maybe I was looking at 1. I
3 apologize. That was 1 that we were discussing.

4 Let's see. I messed up here. Hold on. No,
5 that was -- yeah, that was 2. Okay. Let me find 1. I'm
6 sorry; that was -- that was Exhibit 2.

7 So McCann Exhibit 1, do you recognize that well?

8 A. Yeah, I know the driller and where he drilled
9 this well.

10 Q. And how -- where was that in relation to the two
11 wells you drilled, Waste Management and --

12 A. Right next door to the Taos Mesa Brewery there's
13 a -- they just put a trailer park in there. In fact, I
14 used to own that land and I sold it to them, and they had
15 Mr. Cook drill them a well there.

16 Q. And that shows basalt starting -- if I
17 understand this correctly -- at 39 feet?

18 A. Well, it's hard for me. I forgot my glasses.

19 Q. Okay.

20 A. Excuse me.

21 Q. Well, I'm just going to tell you, it appears it
22 shows it at 39 feet to a -- for a depth thickness of 208
23 feet.

24 A. You know, I -- I wasn't there, so I can't say,
25 but that's what's in the -- on the log.

1 Q. Okay. So does the basalt vary somewhat, the --
2 the depth --

3 A. It can.

4 Q. -- to reach it?

5 A. Yes. It depends on what happened when the
6 basalt was flowing as lava. It had hills and valleys.

7 MR. DOMENICI: That's all I have. Thank you.

8 HEARING OFFICER ORTH: Okay. Thank you.

9 Mr. Johnson, do you have questions?

10 CROSS-EXAMINATION

11 BY MR. JOHNSON:

12 Q. Mr. McCann, so you prepare the -- the drill
13 logs, correct?

14 A. Do I prepare logs? Yes.

15 Q. From when you drill?

16 A. Yeah. That's required by the State of New
17 Mexico.

18 Q. Okay. So you -- you mark down what kind of
19 soils you encounter.

20 Are you trained as a geologist?

21 A. No. I've worked around a lot of this, but I
22 haven't been educated in geology.

23 Q. Okay. And of the drinking water wells that were
24 just described as being near the S & R facility, you
25 drilled one of them, correct?

1 A. No, I had at least two right there.

2 Q. Well, I see the Waste Management.

3 What's the other one?

4 A. Taos Mesa Brewery.

5 Q. Okay.

6 A. It's right next door.

7 Q. Okay. So within those, were you using -- it
8 looked like you were using the -- the method of drilling
9 was air and mud rotary equipment; is that right?

10 A. Yes.

11 Q. Okay. So wouldn't it be difficult to detect
12 shallow water using that method?

13 A. With air you can, because --

14 Q. Air, but not with mud?

15 A. -- you're drilling with a foam-air-water
16 mixture, but it's to lift your cuttings out of the hole --
17 like shaving cream -- and when you encounter water, it
18 dilutes it right away.

19 And, you know, you'll see more cuttings coming
20 out of the ground thin down sometimes, and you know you
21 have perched water.

22 Q. So even though you're injecting foam, which is
23 basically a liquid, it's not confusing your --

24 A. Just strictly air. No.

25 Q. -- your analysis?

1 A. You need the -- the water to help lift the
2 cuttings --

3 Q. Okay.

4 A. -- and we add foam to the water. It's a
5 surfactant -- it's not a pollutant --

6 Q. Okay.

7 A. -- that helps lift the cuttings.

8 Q. Okay. And -- and for the most part, what you
9 drill is drinking water wells?

10 A. Water wells, yes.

11 Q. Okay. Do -- water wells. Do -- do you ever do
12 environmental monitoring wells --

13 A. Oh, yes, many.

14 Q. -- for soil sampling and --

15 A. Oh, you name it.

16 Q. -- looking for water, right?

17 A. I've worked for some of the best companies in
18 the country.

19 Q. Okay. And when you were drilling out at S & R's
20 site last month, there was a split spoon sample taken?

21 A. Uh-huh --

22 Q. And a split spoon --

23 A. -- several.

24 Q. Okay. And a split spoon would be particularly
25 necessary for that kind of environmental testing, wouldn't

1 it?

2 A. Yes, uh-huh.

3 Q. Okay. Was the one you were using a rental?

4 A. I borrowed it from a friend.

5 Q. So are you not regularly using split spoons in
6 your work?

7 A. Oh, I -- I haven't drilled environmental for
8 several years. There's just not that kind of work
9 anymore.

10 Q. Okay. And then finally, going back to the
11 purpose of, for example, the wells at the Taos Brewery and
12 Waste Management, if they're meant to get down to the --
13 say the original aquifer, is it common to -- to stop along
14 the way and look for perched water?

15 A. Not necessarily, no.

16 MR. JOHNSON: Okay. Thank you?

17 A. But you would know if you had it.

18 MR. JOHNSON: Okay. Thank you.

19 HEARING OFFICER ORTH: All right. Thank you.

20 Mr. Brockmann, do you have questions?

21 MR. BROCKMANN: No questions. Thank you.

22 HEARING OFFICER ORTH: Does anyone else have
23 questions? Mr. Smith?

24 MR. SMITH: No.

25 HEARING OFFICER ORTH: Anyone else, questions

1 for Mr. McCann based on his testimony?

2 Anything to follow up, Mr. Domenici?

3 MR. DOMENICI: Just some exhibits, McCann 1, 2,
4 and 3, admitted.

5 HEARING OFFICER ORTH: Any objections?

6 MR. JOHNSON: No objection.

7 MR. BROCKMANN: No objection.

8 HEARING OFFICER ORTH: All right. Thank you.
9 McCann 1, 2, and 3 are admitted.

10 (McCann Exhibits No. 1, 2, and 3 admitted into
11 evidence.)

12 HEARING OFFICER ORTH: Thank you very much,
13 Mr. McCann.

14 MR. McCANN: You're welcome.

15 HEARING OFFICER ORTH: You're excused.

16 So Mr. Domenici, at this point I would like to
17 just ask if there's someone who'd like to offer public
18 comment now before waiting.

19 Sir in the blue shirt, and then ma'am, and then
20 sir in the darker blue shirt. And we need your name and
21 spelling if it's not that obvious.

22 MR. TAFOYA: My name is Phillip Tafoya, and I
23 reside here in Arroyo Seco, New Mexico.

24 HEARING OFFICER ORTH: Hold on. Would you raise
25 your right hand?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PHILLIP TAFOYA,

having been first duly sworn, testified as follows:

HEARING OFFICER ORTH: Thank you.

COURT REPORTER: Would you spell your name,
please?

MR. TAFOYA: Pardon?

COURT REPORTER: Would you spell your name,
please?

MR. TAFOYA: Phillip -- with two Ls --
T-a-f-o-y-a --

COURT REPORTER: T-a --

MR. TAFOYA: -- Phillip Tafoya.

COURT REPORTER: Last name again, one more time.
Spell your last name again.

MR. TAFOYA: T-a-f-o-y-a.

COURT REPORTER: Thank you.

MR. TAFOYA: Okay. I'm here tonight on behalf
of Steve Rael, doing business as S & R Septic Service, and
Mr. Rael is a septic system disposal proprietor. Mr. Rael
provides a service to --

COURT REPORTER: I'm sorry --

MR. TAFOYA: -- the general public.

COURT REPORTER: -- could you speak in the
microphone and slow down a little? Thank you.

MR. TAFOYA: Mr. Rael provides a service to the

1 general public who reside in rural or off the beaten path.

2 Here tonight -- he's here defending his livelihood.

3 Mr. Rael has designated -- or designed and
4 developed a sewage disposal site in a method that, by
5 aeration or evaporation process by a rotating schedule, is
6 functional, from what I've seen and heard, and -- and --
7 and it's working -- it's functioning well and has not
8 caused any environmental impacts or contamination to
9 groundwater or water wells from the testimony I've heard
10 and from people that haven't gotten sick or died, to my
11 knowledge.

12 I -- I would like to begin by asking a few
13 questions, and anybody can answer them.

14 HEARING OFFICER ORTH: Actually, Mr. Tafoya,
15 they're going to have to remain rhetorical questions.

16 MR. TAFOYA: Oh, okay. Is the sewage disposal
17 site within a wetland or floodplain? Anybody know?

18 Mr. Hansen -- Mr. Hansen's findings or
19 assumptions, I -- in my opinion, I feel, don't qualify as
20 an environmental impact study, and I would like to ask,
21 who initiated this hearing, the State or Mr. Hansen?

22 HEARING OFFICER ORTH: Okay. So I will answer
23 that, actually.

24 MR. TAFOYA: Okay.

25 HEARING OFFICER ORTH: Under state statute,

1 under the Water Quality Act in particular, on the renewal
2 of any groundwater discharge permit, if there is
3 significant public interest in a particular discharge
4 permit, there shall be a hearing, so it's what state law
5 required in this case with the public interest that the
6 Bureau was able to discern.

7 MR. TAFOYA: But who initiated it? Was it just
8 like a scheduled thing that has to occur?

9 HEARING OFFICER ORTH: State law means that
10 groundwater discharge permits -- such as are required to
11 operate this facility -- are issued for five years.

12 Every five years then a renewal application has
13 to be submitted and the permit is up for renewal.

14 MR. TAFOYA: And if one person requests for a
15 hearing, this is the cause -- I mean, to be here at --

16 HEARING OFFICER ORTH: The Bureau has to
17 ascertain significant public interest, so that's why we're
18 here.

19 MR. TAFOYA: So I guess there's a lot of people
20 that oppose the renewal of Mr. Rael's permit, I guess.

21 Has there been an environmental impact study or
22 has anybody been --

23 HEARING OFFICER ORTH: Mr. Tafoya, it sounds as
24 though you have a lot of questions, and if you have a lot
25 of questions like that , they should be posed to a

1 witness, so what I'm --

2 MR. TAFOYA: I was going to earlier, but I guess
3 you wouldn't let me --

4 HEARING OFFICER ORTH: Okay.

5 MR. TAFOYA: -- when you --

6 HEARING OFFICER ORTH: So if you have comments,
7 that's what's really most appropriate now.

8 MR. TAFOYA: Okay. I would like to say -- point
9 out that in my opinion, Mr. Hansen did not provide
10 meaningful information, but you -- did provide meaningful
11 information, but you didn't provide definite or concrete
12 evidence or proof that groundwater is actually
13 contaminated -- contaminated, and it's not occurring or
14 present at this point.

15 If you refer to his Figure 6, the word
16 possible -- if you remember reading that little Figure 6,
17 the word possible -- to me, that word is possible. It
18 hasn't happened. Okay? Contamination hasn't happened.

19 Also, if it was possible, the -- what the
20 caption -- what the reference was, the word possible --
21 the possible connection between the septic lagoons and the
22 water table, actually, Mr. Rael's sewage disposal sites
23 are not lagoons but are aeration or evaporation cells.

24 I -- I believe that -- my opinion -- Mr. Hansen,
25 in my opinion, your technical evidence doesn't cut it.

1 If you would refer to Exhibit 1 that Mr. Hansen
2 provided, there was a lot of questions -- a lot of
3 questions on his little bullets -- little statements, and
4 personally, I think that those questions have to be
5 answered before you -- you propose that Mr. Rael's permit
6 be denied.

7 And I -- I didn't see any alternatives from
8 Mr. Hansen to -- to make it better -- make it better for
9 everybody around.

10 I commend Mr. Hansen for coming out, I guess,
11 and -- and -- and having his assumptions before you guys,
12 because I have seen, actually, sewage treatment plants
13 under permit in years past -- Taos Valley and -- and
14 Red -- and the Red River Sewage Treatment Plant -- where I
15 actually saw raw sewage flowing in the river for years.

16 They were never -- they were never fined, but
17 not until there was a group of people that were real
18 humble that came forward, like -- like Mr. Hansen is
19 concerned, but they -- they had valid information as to
20 what was occurring.

21 In my opinion, for -- for -- for Mr. Rael to go
22 through this, his -- he -- his livelihood is -- is subject
23 to -- to terminate here -- and I hope it doesn't because
24 it's his livelihood -- he's spent a lot of money -- a lot
25 of money defending that livelihood, and who caused it?

1 Who causes this?

2 I mean, he provides a service. He's provided a
3 service to the public, and we need it. I need it. I
4 don't know how many people here have septic systems, but
5 if -- if we're going to go through other alternatives,
6 then maybe there should be some infrastructure done or
7 proposed to get -- to get everybody hooked up to the City
8 or the -- an approved sewage plant.

9 In conclusion, I recommend that Mr. Hansen's
10 proposal be denied and that the State doesn't pursue this
11 to -- to deny Mr. Rael's permit, and -- and that -- and I
12 propose that Mr. Rael's septic system be issued or the
13 permit be renewed. Thank you.

14 HEARING OFFICER ORTH: All right. Thank you,
15 Mr. Tafoya.

16 Ma'am, if you would state and spell your name
17 first, and I'll swear you in.

18 MS. LESLIE: My name is Mary Lane Leslie. First
19 name Mary, second name like Lois, L-a-n-e, last name
20 Leslie, L-e-s-l-i-e.

21 MARY LANE LESLIE,
22 having been first duly sworn, testified as follows:

23 MS. LESLIE: Let me say first, to assure
24 Mr. Tafoya and Mr. and Mrs. Rael, we have no intention of
25 causing S & R Septic to cease doing business. They do

1 provide a valuable service to this county, and I think
2 they also serve a couple of other counties. I think they
3 have a huge and thriving business.

4 I also know that there are approximately 12
5 other septage haulers who are permitted in Taos County,
6 and every single one of them is using the Taos Municipal
7 Wastewater Regional Treatment Plant.

8 So I'd -- I'd like you to know first that I'm
9 speaking today on behalf of the Stagecoach Neighborhood
10 Association within which these pits are located. I am a
11 resident of the Stagecoach Neighborhood Association.

12 I am an attorney, but I am not, by any means,
13 the legal representative for Stagecoach Neighborhood
14 Association. I'm an estate and probate lawyer. I know
15 nothing about this except what I have studied for this --
16 for this hearing today.

17 What I'm speaking about is data and facts and
18 views of the persons in closest proximity to those open
19 pits, so if I may, I'd like to read my statements and then
20 stand for questions with your permission.

21 HEARING OFFICER ORTH: All right.

22 MS. LESLIE: This neighborhood, as well as all
23 the residents of Taos County who are within the area where
24 the winds, the vectors, birds, animals spread this really
25 inadequately treated human waste, and that's regardless of

1 the noxious weeds that are growing over it.

2 We are impacted by S & R's activity. This bid
3 is not just about groundwater, although I understand that
4 the Water Quality Bureau -- the Groundwater Quality Bureau
5 is enforcing their regulations, and I understand that
6 their regulations do not allow for this permit to be
7 denied.

8 They can only attach conditions, so we are
9 asking for conditions, but we are asking for conditions
10 that also take into consideration that this Water Quality
11 Act is under the purview of the New Mexico Environmental
12 Improvement Act.

13 And that Act encompasses air quality, nuisance
14 vectors, and it also addresses specifically abatement of
15 septic and septage treatment.

16 We do posit that it is a hazard to human health
17 from the diseases and the viruses and the bacteria that
18 are certainly present in human excrement, which is being
19 spread in our neighborhood, and we do think that Mr. Rael
20 has a very viable and economic alternative to this, and
21 that is the waste treatment center.

22 It just seems such an oxymoron to me that
23 residences who are required by law to have permitted,
24 inspected, and regularly upgraded enclosed septic systems
25 hire a septic service which empties the contents of those

1 enclosed, safe septic systems and then hauls thousands of
2 gallons of the contents of those septic tanks to dump them
3 in open, unlined pits, and that the septage hauler is
4 subject to such minimal regulatory oversight and,
5 practically speaking, no real consequences to date for
6 putting into plain sight, smell, and in plain air, open to
7 our beautiful blue skies, all of the content that those
8 enclosed, underground septic tanks, required to be as safe
9 and sanitary as possible, contain.

10 It's just very odd. Doesn't it strike you as
11 odd -- at the very least incongruous, if not illegal? Yet
12 in a rural community like Taos, this is what is being
13 allowed and done by S & R and only by S & R in Taos
14 County.

15 We are very concerned and troubled that the
16 Groundwater Quality Board is recommending renewal of the
17 permit, but we understand they have not much choice.

18 We are concerned because of S & R's failure over
19 the years to meet the regulatory requirements and special
20 conditions given as part of each renewal issued over the
21 last 32 years.

22 We are concerned at the absence of those
23 regulations which don't allow us to deny the permit.

24 There's not -- there is not enough staff or
25 funding -- by the admission of the Groundwater Quality

1 Board -- for meaningful oversight to properly monitor the
2 conditions of this renewal.

3 We're very concerned that S & R Septic Service's
4 owner has, for many years, been pretty cavalier about the
5 legal obligations in the law and regulations in operating
6 this currently unpermitted and out-of-compliance facility.

7 The public records of the Water Quality Control
8 Board do contain numerous and repeated violations of its
9 regulations.

10 As the Hearing Officer, you have access to those
11 records of all the violations to review, and we ask that
12 you examine them carefully and make meaningful changes to
13 the conditions recommended before a renewal is allowed and
14 issued.

15 The most meaningful change to the permit would
16 be to require S & R septage loads to be taken to the Taos
17 Municipal Wastewater Treatment Facility.

18 And it's not expensive, and the website for that
19 facility indicates that it is available to septic haulers
20 twenty-four hours a day, seven days a week.

21 They can obtain an account with the town of
22 Taos, and they can go and dump there all the time. They
23 are not limited to -- to weekdays or business hours.

24 We think that is very significant, because I
25 think that S & R does dump around the clock, and I don't

1 know what their permit allows in that regard. I know
2 they're -- they're limited in the amount they can dump,
3 and I do believe that each truckload contains the contents
4 of more than one septic tank, so the cost is spread.

5 And I'd like to just highlight a few of the
6 violations incurred by S & R Septic Service that are in
7 the Groundwater Quality Bureau's own records.

8 S & R is required to renew his sewage dumping
9 permit every five years. His current permit expired in
10 2017. He is operating without a permit or without any
11 kind of an extension, as far as I know, of the 2017
12 permit.

13 He didn't even bother to reapply until
14 February 22nd of 2018 -- despite contact from the
15 Groundwater Quality Board prior to that day.

16 He is currently still dumping raw sewage in the
17 pits without this permit, and it has now been over 21
18 months since the expiration of his last permit.

19 The record clearly shows S & R's conditions and
20 statutory requirements of this permit have been violated
21 repeatedly -- not just in the last seven years, but since
22 his first permit in '87.

23 This permit was up for renewal in 1997 -- his
24 second renewal application -- but the Groundwater Quality
25 Bureau did not issue the renewal until July of 1999.

1 By letter dated July 29th, 2000, a list of nine
2 specific violations by S & R were based on a July 10th,
3 2000, monitoring by the Groundwater Quality Board
4 personnel. I won't read all nine of those violations, but
5 he was cited because semiannual reports had not been
6 submitted -- among other things.

7 Also, twice each year S & R was to submit land
8 application data sheets with the amount of liquid waste
9 being dumped and the nitrogen load. That's an EPA
10 requirement, as I'm sure you're familiar with. No reports
11 were found in the records from 2014 to 2018.

12 It is my understanding that has now been
13 corrected, but I wonder how those 2014, '15, '16, '17
14 reports were created, what -- what the basis for those
15 reports were. Did they just make up the figures?

16 In 2012, once again, during the renewal
17 application Mr. Rael presented to -- excuse me --
18 represented to the then-president of the Stagecoach
19 Neighborhood Association that when the wastewater
20 treatment plant was completed, he would use it. He still
21 does not use it.

22 That permit, which expired December 27th, 2017,
23 according to NMED discharge permit regulations required
24 that the application for the permit must be renewed at
25 least 180 days prior to the date the current permit ends.

1 For S & R, the date to submit the renewal application was
2 June 27th, 2017.

3 He finally submitted it about eight months
4 later, in February of 2018, but there was no penalty, no
5 order to cease operations at the open pits until a permit
6 was renewed.

7 NMED did not issue any Notice of Noncompliance
8 while -- and -- and we don't understand. How could he
9 operate without a permit? Why weren't the sewage pits
10 shut down due to having no active permit in place?

11 August 27th, 2018, there was a letter from
12 Michelle Hunter, the chief of Groundwater Quality Bureau,
13 to S & R. It states -- and I quote -- this letter is to
14 notify you that NMED has determined that the
15 above-referenced facility is not operating in compliance
16 with the conditions of the discharge permit, the WQCC
17 regulations, and the Water Quality Act.

18 She cites failure to submit semiannual
19 monitoring reports showing compliance with the regulations
20 imposed.

21 She also mentioned lack of appropriate signage,
22 inadequate construction of concrete splash pads,
23 expiration of the permit without a renewal application
24 submitted on time, and similar deficiencies observed by
25 NMED inspectors at the site on 12/28/17.

1 Hunter's letter -- Hunter's letter further
2 states, to date, NMED has not received monitoring reports
3 or received incomplete monitoring reports for 2014 through
4 2018.

5 S & R was told to submit all of the past due
6 reports in their entirety within 30 days of this letter,
7 and that would have been by September 26th, 2018. If a
8 report was missing, he was told to explain why and how
9 this would be corrected in the future.

10 And then she said, failure to comply with this
11 letter and the terms of the discharge permit may result in
12 the issuance of a formal Notice of Violation, compliance
13 order, civil penalties, or the filing of an action in
14 District Court. To my knowledge, to date, none of these
15 consequences have been instituted.

16 September 28th, 2018, an email thread from the
17 NMED's Matthew Bogar -- Bogar -- to the Taos field office
18 reads, quote, I just witnessed the proof for S & R Septic
19 Service pumping a grease trap at El Monte Sagrado.

20 COURT REPORTER: I'm sorry; could you say that
21 again?

22 MS. LESLIE: El Monte Sagrado, S-a-g-r-a-d-o,
23 which is a really fancy hotel here, which is on the town
24 sanitary sewer. I hope you're not staying there.

25 Bogar asked for confirmation that dumping grease

1 in the pit is prohibited. Taos field office responses to
2 this mail say, you are correct; our permit with S & R does
3 not allow for disposal of grease trap waste, only septage
4 and wastewater treatment plant sludge.

5 In NMED records for September 29th, 2018, the
6 report of the inspection at the Tune Drive pits by NMED
7 Groundwater Quality Bureau, quote, NMED arrived on site at
8 10:45 a.m., observed the gate to be locked. Signs remain
9 improperly posted, and no apparent progress has been made
10 on any of the compliance issues stated in the NONC -- I
11 believe that would be the Notice of Noncompliance.

12 The smell of septage and a very strong fog
13 smell -- and fog is capitalized, so I don't know if that's
14 an acronym -- was coming from the facility. That's one of
15 our neighborhood's big concerns.

16 Jason Herman called Steve Rael, who stated he
17 was driving toward Albuquerque and there was no one who
18 could grant access to the facility.

19 A septic inspection, to include management, will
20 be included -- will be conducted on October 1st, 2018,
21 close quotes.

22 Herman took photos through a break in the gate
23 material, and as they left the site, they saw Loretta Rael
24 in an S & R van on Tune Drive near US 64. Was she in
25 contact by mobile phone with her husband? Otherwise she

1 would not have been on Tune Drive. They live in Ranchos
2 De Taos, 14 miles away from these sewage pits.

3 No monitoring reports were submitted, according
4 to the records on file when we reviewed them.

5 June 2019, residents of the Stagecoach Hills
6 community continue to witness S & R trucks hauling liquid
7 waste to the facility in question despite the expiration
8 of their permit and an unreasonably long review of the
9 permit extension by NMED Water Quality.

10 Finally, another of the most egregious
11 violations is -- as presented by Jerome Hansen's technical
12 evidence and photos -- the subsidence and obvious
13 contamination outside the boundaries of S & R's disposal
14 pits.

15 I believe this alone allows the Secretary of the
16 Environmental Department to deny the permit according to
17 the regulations in the Environmental Improvement Act.

18 This repeated failure to meet permit renewals,
19 conditions, deliberate avoidance of an inspection, no
20 timely and complete monitoring reports in accordance with
21 the regulations, demonstrate a pattern that can be
22 characterized as disdain and arrogance on the part of
23 S & R that would -- if this many violations for a driver's
24 license had occurred, revoke that driver's driver's
25 license possibly for life, yet the board knows it cannot

1 revoke; it can only require conditions, which are never
2 met with any regularity -- no pun intended.

3 I'd like to briefly highlight the purpose of the
4 federal and state statutes. I know this is preaching to
5 the choir to you, but I refer first, to the National
6 Pollutant Discharge Elimination System -- NPDES.

7 From the overview of that statute, I quote, the
8 collection and treatment of domestic sewage and wastewater
9 is vital to public health and clean water. It is among
10 the most -- excuse me -- the most important factors
11 responsible for the general level of good health enjoyed
12 in the United States.

13 Also, in 42 USC Section 6901 et seq, which was
14 passed in 1978, the Resource Conservation and Recovery
15 Act -- the RCRA -- gives EPA the authority to control
16 hazardous waste from the cradle to the grave.

17 And this is from the Act: It is the Office of
18 Resource Conservation and Recovery -- the ORCR -- which
19 implements RCRA. ORCR's mission is to protect human
20 health and the environment by ensuring responsible
21 national management of hazardous and nonhazardous waste.

22 And as Mr. Snyder testified, liquid waste is a
23 nonhazardous waste.

24 And Hearing Officer Orth, I'm sure you're also
25 familiar with the EPA's Guide to Septage Treatment and

1 Disposal for All Persons, which I quoted to Mr. Snyder.

2 The gauge is -- that guide is 75 pages long and
3 recommends specifically that all regulatory agencies and
4 permitted individuals who are handling septage read this
5 guide. It appears that Mr. and Mrs. Rael have failed to
6 read it.

7 I'm not going to read the whole guide, but it --
8 in part it reads, septage is a highly variable organic
9 waste that often contains large amounts of grease, grit,
10 hair, and debris, and is characterized by an objectionable
11 odor and appearance, a resistance to settling and
12 de-watering, and the potential to foam. These
13 characteristics make septage difficult to handle and
14 treat.

15 The major reason for providing adequate
16 treatment and disposal systems is to protect public health
17 and the environment, as septage may harbor disease-causing
18 viruses, bacteria, and parasites.

19 Septage treatment and disposal facilities are
20 either privately or publicly owned.

21 As we know, S & R's pit is not a treatment
22 facility, but is only permitted for disposing of sewage,
23 not grease traps.

24 The wastewater treatment center again I say is
25 the proper place to treat the sewage and sludge.

1 Where this sewage is being dumped is open to the
2 elements of wind, vectors, seepage into our water
3 supplies -- which apparently has not yet occurred, I mean,
4 thank God, but you have an opportunity to stop that now --
5 and also carried by birds and other animals, with the
6 potential to sickness and disease all over Taos County.
7 It is disgusting.

8 The guide continues, the parasites, viruses,
9 bacteria that septage normally contains can cause disease.
10 For these reasons, septage treatment facilities should be
11 isolated from the homes and businesses in the community.

12 Both state and federal regulations govern
13 septage disposal. Because the federal regulations set
14 minimum standards, state regulations might be the more
15 stringent of the two, and I think in New Mexico that is
16 the case.

17 The agencies responsible for administering
18 septage disposal programs at the local level must be
19 familiar with the regulations contained in 40 CFR --

20 COURT REPORTER: I'm sorry; contained in what?

21 MS. LESLIE: Oh, I'm sorry. 40 CFR part 503,
22 standards for the use and disposal of sewage/sludge. That
23 was published in '93.

24 We ask you to also consider as you make your
25 determination the whole statute, which contains within it

1 the authority of the Water Quality Act and the Groundwater
2 Quality Bureau, and that is the New Mexico Environmental
3 Improvement Act of '94. That's in Article 74-1 et seq.

4 The regulations, which we've heard tonight,
5 20.6.210, clearly state, these regulations do not apply to
6 the following: Any activity or condition subject to the
7 authority of the Environmental Improvement Board pursuant
8 to the Hazardous Waste Act, the Groundwater Protection
9 Act, or the Solid Waste Act -- and the quotes for all of
10 those -- I mean, the cites are given -- except to abate
11 water pollution or to control the disposal or use of
12 septage and sludge.

13 The purpose of the Environmental Improvement Act
14 is to create a department that will be responsible for
15 environmental management and consumer protection in this
16 state in order to ensure an environment that in the
17 greatest possible measure will confer optimum health,
18 safety, comfort, and economic and social well-being on its
19 inhabitants and protect us from health risks posed by the
20 environment.

21 I'm just about done.

22 So the -- the -- the whole statute of 741 has in
23 its duties, the Department is responsible for the
24 environmental management and consumer protection programs.
25 In that respect, the Environmental Department shall

1 maintain, develop, and enforce rules and standards in the
2 following areas: Liquid waste -- which we're talking
3 about -- air quality management as provided in the Air
4 Quality Control Act, nuisance abatement, and vector
5 control.

6 The elected officials of the State of New
7 Mexico -- including our governor and our highly-qualified
8 Secretary of the Environmental Department -- have all
9 stated publicly that they see environmental protection as
10 a major mandate of this administration to protect the
11 citizen of New Mexico.

12 This permit renewal is not just about water
13 quality -- although this hearing is held under the
14 auspices of water quality, so water is one of the most
15 important resources requiring the protection of the State
16 of New Mexico under both state and federal law.

17 But this is about air quality, public health,
18 disease control, and protection of the public, as well as
19 preventing any leakage or contamination of the groundwater
20 and the aquifer over which these unlined, open pits sit.

21 The statutory authority and regulations of the
22 Water Quality Control Board is not a stand-alone statute.
23 It is incorporated into the EPA and must work together
24 with all of the environmental protection laws enacted by
25 the State of New Mexico and embodied in the federal law

1 and regulations.

2 The dumping of human excrement in open, unlined
3 pits near homes and business in the changing development
4 of this county is no longer appropriate and poses a threat
5 to public health.

6 So in closing, I ask that you employ the viable
7 and economically reasonable alternative of mandating
8 S & R's use of the waste treatment center that is run by
9 the Town of Taos.

10 This condition is easily enforced -- much more
11 easily and economically enforced by the State and much
12 more easy and economic for Mr. Rael than the tedious
13 testing that was described by the groundwater expert, and
14 asking for reports that are not submitted, or if they're
15 submitted, they're incomplete.

16 We'd ask you to include three mandatory
17 conditions. Number one, hauling the septage to the Taos
18 Municipal Wastewater Treatment Plant, which is open 24/7.
19 All he has to do is apply for an account at the town.

20 Number two, prohibit any further dumping of any
21 liquid waste and any sludge or grease in the open, unlined
22 pits that have been used by S & R now or in the past.

23 And number three, S & R remediate, on a
24 reasonable time schedule, the pits that have been used, to
25 cover them and test them until the testing shows that

1 there's no more leakage and seepage, and then close the
2 pits permanently.

3 We ask that you recommend this to the Secretary
4 of the Environment, that S & R be prohibited from
5 continuing to dispose in the open pits the contents of the
6 septic tank contents he hauls where it's located or for
7 him to dump it anywhere else in open pits in Taos County.

8 Thank you for allowing me this time.

9 HEARING OFFICER ORTH: Thank you, Ms. Leslie.

10 Mr. Domenici, as you know, I discourage
11 cross-examination of public comment that doesn't involve
12 science, so unless you want to pursue a particular line of
13 questioning, I'm just going to move through the public
14 comment.

15 MR. DOMENICI: I would -- I would like to -- I'd
16 like to pursue a line of questioning.

17 HEARING OFFICER ORTH: Okay.

18 MR. DOMENICI: And it's limited to the
19 suggestion of dumping at the Taos County -- or the City of
20 Taos wastewater facility, and I'm going to stand away from
21 the witness just for my comfort.

22 MS. LESLIE: Did I scare you that bad,
23 Mr. Domenici?

24 MR. DOMENICI: You don't scare me at all.

25 MS. LESLIE: Okay.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. DOMENICI:

Q. Tell me the date and time and the person you talked to at the City of Taos to confirm that it -- it has capacity for the additional wastewater from S & R.

A. So it's on their website actually of how much they accept, and I think that it's pretty clear that it can accept well above the amounts that Mr. Rael claims he dumps.

Q. What --

A. Would you like to look at the website?

Q. I've seen the website, and I have studied the amount that's dumped there.

Have you?

A. Have I what? Excuse me.

Q. Studied what the 12 septic haulers need in terms of capacity in relation to that website you're looking at.

A. I'm sure it's in here somewhere. It says, average daily flows are currently at approximately 1.2 MGD. What's that, million gallons of dump? I don't know what that means. Current capacity is 2.0.

Q. Okay. Well, that has nothing to do with septage.

Do you understand there's a separate location where these 12 septage haulers can discharge their septage

1 to a facility for the -- for that wastewater treatment
2 plant?

3 It has nothing to do with the gallons per day
4 for the facility.

5 A. He has not exceeded the gallons per day
6 discharge per hauler permitted by the treatment --

7 COURT REPORTER: I'm sorry, ma'am; could you
8 speak in the microphone?

9 THE WITNESS: Oh, sorry about that.

10 A. S & R has not exceeded the gallons per day
11 discharge per hauler permitted by the treatment plant and
12 could continue this use at the same rate or more.

13 Q. Well, that's your statement. You've testified
14 to that. You've emphasized that.

15 You don't really know that, though, right?

16 A. No, but I think it's worth exploring, and I
17 think that --

18 Q. Well --

19 A. -- if the -- if the permit requires that, he
20 should explore it, and I don't understand the difference
21 why he can avoid using the treatment plant when every
22 other septage hauler in this town uses it voluntarily.

23 Q. Okay. I'm going to try and make this simple so
24 we can get this over with, but I will get an answer for
25 this question.

1 You don't know that there's capacity for his
2 septage at any facility in Taos County, correct?

3 A. I personally do not know that, but I believe it
4 is worth exploring, and I believe that there is capacity.

5 Q. Well, did you explore it?

6 This is the hearing, and you're testifying.

7 What did you do to explore it so you can give
8 truthful testimony that's -- you seem to give testimony
9 there was capacity.

10 Now you're -- you're -- you can't give that,
11 right?

12 A. I've got it right here. Would you like to read
13 it?

14 Q. I'm not going to read it. I'm asking you
15 questions --

16 A. Okay.

17 Q. -- so you tell me what you're talking about that
18 proves -- let me ask this: Do you agree that there's an
19 ordinance limiting receipt of septage to 30,000 gallons
20 per day by the city wastewater facility?

21 A. I do not know that.

22 Q. If it's true, would you not agree that that is
23 not enough capacity for the 12 haulers that use it plus
24 S & R?

25 A. Not knowing exactly -- because there's no really

1 accurate reports of S & R, I don't know how much he's
2 hauling a day, but I know he has an awful lot of
3 customers, and one of the reports I did review from 2018
4 showed that in six months time he hauled 275,000 gallons.

5 Broken down by day, I think that's less than,
6 and I don't know what the other haulers do haul. Do -- do
7 you think that there is not enough capacity?

8 Q. There will --

9 A. That's what you're intimating.

10 Q. There will be testimony by Mr. Real with
11 knowledge and with a basis -- which I don't think you
12 have -- that there is not capacity, and your suggestion is
13 we study it after we create a permit that disallows use of
14 this facility.

15 So you're essentially saying we disallow it and
16 then we guess or hope that the study comes up with the
17 result you would like --

18 A. No --

19 Q. -- correct?

20 A. -- I don't think we have to guess. I think the
21 information is available from the Town of Taos by a phone
22 call tomorrow morning before this permit is issued or
23 modified.

24 Q. But you didn't make that phone call, right?

25 A. I only found out about this later today.

1 Q. But you didn't make the phone call, correct?

2 A. I also was told today -- and this -- I guess
3 this is going to be hearsay, but I was told today that of
4 all -- when this was passed, when the -- the 24/7 access
5 to the treatment facility was approved by the town, that
6 Mr. Rael was the only one of the 13 haulers in this county
7 who objected to it, because he wants the other haulers to
8 come to his facility on the weekends.

9 Q. Do you know that his permit doesn't allow any
10 waste from any other hauler?

11 A. Yes, I do.

12 Q. So why would he want someone to come there that
13 he can't accept their waste?

14 A. I don't think that's a problem. I think that it
15 is possibly occurring.

16 Q. You're guessing and speculating under oath,
17 correct?

18 A. That is guessing and speculating.

19 MR. DOMENICI: That's all I have.

20 HEARING OFFICER ORTH: All right. Thank you,
21 Ms. Leslie.

22 Mr. Mondragon, I saw your hand next. If you
23 would come up and give us your full name.

24 MS. LESLIE: Are you asking me questions?

25 MR. MONDRAGON: Yeah, I'm asking -- no, I'm not.

1 MS. LESLIE: Okay. Thank you, Your Honor.

2 HEARING OFFICER ORTH: Thank you.

3 Give us your full name, and I'll swear you in.

4 MR. MONDRAGON: Norbert Mondragon.

5 COURT REPORTER: Could you spell that?

6 MR. MONDRAGON: N-o-r-b-e-r-t.

7 COURT REPORTER: Last name?

8 MR. MONDRAGON: M-o-n-d-r-a-g-o-n.

9 NORBERT MONDRAGON,

10 having been first duly sworn, testified as follows:

11 HEARING OFFICER ORTH: Thank you.

12 MR. MONDRAGON: The fact that we're standing
13 here 20 years into the 21st century talking about open
14 sewage is kind of astounding, but here we are.

15 My commentary is more directed at the manner in
16 which this permitting process is -- is -- is handled by
17 the State.

18 I had a conversation with Mr. Herman prior to
19 the last approval of this permit, and I expressed many of
20 the same concerns that Ms. Leslie did regarding the fact
21 that they're issuing a limited-use permit with no
22 monitoring of the amount of sewage being hauled outside of
23 the Applicant's own records.

24 The -- the -- Mr. Herman at that point stated to
25 me that they simply didn't have the manpower, which is

1 basically reiterating what Ms. Leslie said.

2 But my -- my bigger concern with this was the
3 fact that this is strictly a groundwater issue to the
4 State.

5 I am the well that was referred to several times
6 earlier as the Fennell well that is adjacent to this
7 property to the northwest, so I -- I do have the same -- I
8 share the -- the concerns regarding water quality and --
9 and -- and this is important.

10 But it's my belief that the airborne pathogens
11 and the -- the impact to air quality that this obviously
12 produces -- and I'll -- I'll be honest, I'm actually more
13 concerned now due to the fact that the movement away from
14 lagoons and to these cells, which seem to very efficiently
15 evaporate these pathogens and -- and bacteria and viruses
16 and hydrogen sulfide, which is generally what's created
17 when raw sewage is allowed to ferment, if you will, into
18 the air.

19 And so that the State can issue these permits
20 with absolutely no regard for air quality is just
21 ridiculous. This has to be a concern.

22 As I mentioned earlier, I'm -- I'm a couple of
23 hundred yards away. Fortunately, for the most part, the
24 wind blows in -- it prevails from the south -- southwest,
25 and I -- I generally don't get it. I feel for the people

1 that are downwind from it.

2 But when storms blow through, it -- it changes
3 the direction of the wind, and so I'm -- I know exactly
4 what's coming out of there from an air-impact standpoint.

5 So my concerns are for the manner in which the
6 permitting process for open sewage is handled on a State
7 level and the fact that the -- the Environmental
8 Department of our state does not consider this in the
9 least when granting a permit of this nature.

10 Thank you.

11 HEARING OFFICER ORTH: Okay. Thank you,
12 Mr. Mondragon.

13 Is there anyone else who can't wait until after
14 the next technical witness -- we return to the technical
15 witnesses?

16 All right. Let's go back to your witnesses,
17 Mr. Domenici.

18 I'll ask for public comment again after
19 Mr. Domenici --

20 COURT REPORTER: I'm sorry; could you say that
21 again? I didn't hear you.

22 HEARING OFFICER ORTH: Oh, I said I'll ask for
23 public comment again after the witness.

24 MR. DOMENICI: Sir, will you introduce yourself?

25 MR. RAEL: I'm -- it's turned off.

1 MR. DOMENICI: There's a button on the bottom.

2 MR. RAEL: I'm Steve Rael. I'm the owner of
3 S & R Septic.

4 HEARING OFFICER ORTH: Mr. Rael, would you raise
5 your right hand, please?

6 STEVEN RAEL,
7 having been first duly sworn, testified as follows:

8 DIRECT EXAMINATION

9 BY MR. DOMENICI:

10 Q. Mr. Rael, you've heard some cross-examination of
11 some witnesses and you've heard some public comment,
12 right?

13 A. Yes.

14 Q. And you prepared for this hearing?

15 A. Yes.

16 Q. First of all, is -- does the -- the Town of Taos
17 have capacity for your -- the septage that you haul for
18 your customers?

19 A. No, they don't.

20 Q. How do you know that?

21 A. I have a statement over here, and the lady that
22 testified, she said a lot of slander lies, and we will
23 review them. It bothers me when somebody gets up here and
24 just talks and -- and really doesn't have the facts.

25 Q. Steve, I'm going to interrupt you. Answer my

1 question.

2 A. Okay.

3 Q. How do you know there's not enough capacity?

4 A. Because I have it right over here, and this
5 is -- this is something that the City put out.

6 Q. Explain what it is.

7 A. Well, it -- it's something that's by the --
8 that's voted on that's -- what -- what would it be called?
9 My wife can help me on that.

10 MRS. RAEL: An ordinance.

11 BY MR. DOMENICI:

12 Q. An ordinance? Is it --

13 A. An ordinance, yeah.

14 Q. Okay. Well, I'm going to get to the point.
15 How do you know there's not enough capacity?

16 A. Okay. If I can read this --

17 Q. Go ahead.

18 A. Okay. I need glasses, but the immediate
19 surrounding area waste produced outside the service area
20 will be accepted. This facility's septic haulers must
21 make other arrangements for disposing of each septic
22 waste.

23 The Taos Valley Regional Wastewater Treatment
24 facility will only accept a minimum of 1,000 gallons per
25 hauler, or the septic hauler per day, all septic haulers

1 can only dump 30,000 gallons a day of the septic with a
2 combined per day.

3 So what it's saying right there is if -- if we
4 meet, between all septic haulers -- one of the things I
5 want to correct, I do dump at the Town of Taos and I know
6 how the facility works.

7 And if -- if -- if you met 30,000 with -- she
8 says 12 haulers -- if you met the 30,000, they close it
9 down because that's all they can take.

10 If one hauler does 10,000 gallons or 30,000,
11 they close it up, and that's the end of that.

12 Q. What happens in the winter when septage haulers
13 have to leave septage in their transport vehicles
14 overnight on a cold night?

15 A. Well, she testified that it's 24/7, but they
16 have not kept 24/7. They have changed many things.

17 Can I show a picture that I have here of the
18 wastewater treatment plant?

19 Q. Yeah.

20 A. As you can see, that's my truck right there. I
21 was told that I -- I wasn't dumping there. Well -- well,
22 here it is.

23 You see this over here? Here's the septic truck
24 and here's this -- that receives.

25 UNIDENTIFIED SPEAKER: What are you talking

1 about?

2 THE WITNESS: Okay. I'm sorry.

3 HEARING OFFICER ORTH: It's all right.

4 A. Here's the -- here's the septic truck, and
5 there's this one thing that it has to go through before it
6 goes into the plant, and there I have spent on a truckload
7 two and a half hours to be able to dump at the Town of
8 Taos.

9 There could be one or two others that are
10 waiting for me. I could almost spend all day if there's
11 two people in front of me.

12 This machine here that they have here gives a
13 lot of trouble. This is all gravity fed and it goes into
14 there, and they're always -- we're having always to call
15 somebody from the wastewater treatment plant to come and
16 see what problems we're having, because it stops, because
17 if the sludge is too thick, it stops it from entering in
18 there, so they have to come inside this little room that's
19 in front of that and they have to do whatever they have to
20 do to get it to work again.

21 So if I spend two -- two and a half hours here,
22 the -- if I have two or three haulers there, they're all
23 waiting for me to finish to dump.

24 This is not the proper facility at a wastewater
25 treatment plant. If you check the wastewater treatment

1 plant in Santa Fe, you just back up and you dump.

2 They do a pH, and if it's good enough, they'll
3 let you dump. You can dump probably in three to four
4 minutes. This facility has a lot of problems.

5 Q. Let me ask you about -- let me ask you about the
6 problems, and I'm going to repeat what I asked before you
7 gave that demonstration, which I liked, but what happens
8 to septage that is left overnight on a freezing night in
9 Taos?

10 A. Of course, the load inside the truck would
11 freeze.

12 Q. And then what does it take to get that load --
13 to handle that load after it's frozen?

14 A. It would take a lot, probably take it into the
15 garage, heat it up with torches and unthaw it out, but
16 that would take hours.

17 Q. And if you don't have torches, if you let nature
18 do it, how long would that stay frozen in the wintertime?

19 A. It would stay almost the whole winter. As long
20 as it's cold, ice is going to hold, and it will hold for a
21 long time.

22 And not only would -- it would freeze, the --
23 the valves on the truck and whatever might -- will
24 actually crack and break.

25 Q. And what would happen if someone called you out

1 and you needed that truck to pump their septic tank?

2 A. I -- I wouldn't be able to do it.

3 Q. So is it important to have enough capacity at
4 the right times?

5 Push that button there.

6 A. I -- I think the battery is dead.

7 Q. And that one just went dead. Is there --

8 A. I -- I can talk real loud.

9 MR. BARNES: Do you mind? Thank you.

10 MR. BROCKMANN: This one still might have a
11 little juice.

12 A. I -- I -- I just want to add something to
13 what -- to kind of educate what's going on here.

14 The wastewater treatment plant has a lot of
15 issues, and -- and those issues become a big problem for
16 the septic haulers themselves. And it's over here, but
17 the State, they're not really following the rules and
18 regulations that -- that they applied over here.

19 And what it is is, it used to be that they were
20 charging by the gallon, but since their machinery is such
21 a failure, what it is, if I go with a 500-gallon load over
22 there, I automatically get charged \$75.

23 And, you know, every -- they changed -- they
24 changed it even though they -- they haven't gone to change
25 it legally.

1 Q. Let's -- let's talk about the site and the
2 operations.

3 A. Okay. Can I go ahead and do a demonstration
4 with what I have here -- one of the pictures -- and
5 explain to them?

6 Q. Yeah. I'd like to try to hold it up where the
7 Hearing Officer can hear it and see it, I mean, and the
8 audience, which will be a little tricky, but let's see if
9 we can do it.

10 MR. DOMENICI: Is that better?

11 MR. BROCKMANN: Yeah. Thank you.

12 MR. DOMENICI: Okay.

13 A. What this is here is all the exaggeration that's
14 been going on, and -- and really, you know, my site is
15 pretty -- pretty safe.

16 We're talking about pathogens, vectors. We lime
17 treat it. We lime treat it to stop the vectors and the
18 pathogens, the smell. Anybody saying that it smells is
19 not saying it correct.

20 As you can see, all my cells here, they're all
21 dry, and let me explain to you why they're all dry. When
22 we go to dump, we will take these cells and we go one here
23 and then we'll go another one here, but by the time we get
24 around, they're completely dry.

25 Actually, the -- when I dump on one of them, by

1 the following day it's dry, and let me tell you why it's
2 dry, because the heat, the wind, and the rotation, and
3 we -- and we can't put more than three inches in these
4 cells, but I've been averaging about an inch to an inch
5 and a half.

6 This is so, so ridiculous that I would be
7 contaminating water. This is really, really ridiculous.
8 A septic system with a leach field has a greater
9 contamination.

10 If you have a septic tank in Tune Drive, you
11 better think about what's going into the ground and how
12 close your well is, because these cells here are not
13 designed as a leach field, which actually absorbs the
14 water. It's not designed to absorb the water. This works
15 more off evaporation.

16 And then we talked a lot about these cells.
17 Well, figure this: If this can go three, four, five feet,
18 the ground itself serves as a filter. I can put my money
19 on -- on anything that after five, ten feet, there's not
20 going to be any contamination.

21 And I really feel bad that the Department, with
22 Steve -- I spoke to him one day -- was -- had a real
23 positive attitude. I spoke to him that day, and he says,
24 we're going to help you. I felt really, really good about
25 that.

1 But when I met Jason he was completely saying,
2 there's a time that it comes that you got to close the
3 site, but at the same time, when you say something like
4 that, you're eliminating services from Taos County.

5 You're trying to force an issue here to dump at
6 the wastewater treatment plant when the facility is not
7 proper.

8 I just read one hauler can do 10,000 gallons a
9 day. The total 12 haulers, you know, they can do 3,000
10 (sic) total and it's cut off.

11 So this is -- this site here that you're seeing
12 is very, very safe.

13 And another thing I wanted to testify and say,
14 it really bothers me when somebody gets up here and starts
15 lying. There is not an arroyo going through -- through my
16 site. I'm sure Jason can tell you there's no arroyo.

17 Around this area here is a berm ten feet wide,
18 ten feet tall. Okay?

19 Another thing that was testified, we lime treat
20 our septage, which reduces the pathogens and the vectors,
21 so this statement of saying it smells and this and that is
22 ridiculous.

23 If you want to sell -- smell something, go to
24 the Town of Taos and go by their sewer plant and tell me
25 what you smell.

1 My site doesn't smell. It's always kept dry,
2 and it's -- it's one of the -- it's really a great place
3 to be able to dump, but if I compare this to -- can I do a
4 comparison, give them an illustration?

5 Q. Go for it.

6 A. And this really -- this really bothers me a lot,
7 because the State knows it, and -- and I just feel really
8 bad. I'll just kind of talk about it.

9 I got the permits here. These two, the brewery
10 and an RV park -- I want you to listen real good, because
11 you'll understand that my site is -- is really, really
12 safe.

13 The -- the -- the RV park is probably a
14 groundwater permit. They can receive up to two thousand
15 gallons a day, so you times times seven and it's fourteen
16 thousand, times the month is twenty-eight thousand
17 gallons.

18 I want you to look at this picture, why I feel
19 like I've really been treated unfairly by the State.

20 This system is designed to take the water into a
21 trench to where it's -- it's absorbed with rock so it can
22 actually percolate into the ground.

23 Compare my site to that. Compare my site to
24 that. I'm -- on the top surface, I put like an inch, inch
25 and a half, and I rotate all the cells. How can you

1 compare?

2 And I've asked the -- I'm asking you folks here,
3 which -- which would be greater to contaminate? There's
4 the RV park that does 2,000. There's the brewery that
5 does 1,800. They're back to back. That's about a total
6 of 4,000 gallons injected into the ground.

7 You tell me what's going to contaminate more,
8 the brewery, RV, or my site? Stop to think about that.

9 You folks that are on Tune Drive, you have
10 septic tanks and you have leach fields that are designed
11 to actually absorb the water into the ground.

12 Mine is not like that. It works off
13 evaporation. On a windy day it disappears. Think about
14 it.

15 What you're asking me here, what the State is
16 asking me to do here, what Jason is asking me to do here,
17 I feel that -- that I'm really treated unfairly.

18 They're putting a high -- do five wells, do all
19 this, pay 180,000, pay the bid. What you're asking me is
20 to put me out of business. That's what you're asking me,
21 because what you're asking is very unfair.

22 I personally feel, in my opinion, that I have
23 been discriminated, because this is not an issue -- a fair
24 issue comparing the RV -- this RV park and the brewery are
25 within 500 feet of my dump site.

1 Why is it that they can get away with murder,
2 but yet that I'm so safe on my site -- that you can
3 actually say that I need at least five borings.

4 These five borings are to get me out of
5 business, because there's nothing to back up what you're
6 asking me to do.

7 Q. Steve, do you know Fred Kalish?

8 A. Yeah.

9 THE WITNESS: Again, I have a lot of luck. Just
10 lost another one, but I can talk loud enough.

11 MR. DOMENICI: I'll share with you.

12 BY MR. DOMENICI:

13 Q. Do you -- do you -- do you know Fred Kalish?

14 A. I -- I know Fred Kalish, and he was a very, very
15 good man. He wanted us to follow the rules and
16 regulations, and we worked with him.

17 Let me just back up a little bit. In 1987, we
18 were able to discharge up to 20,000 gallons a day. Okay?
19 Thirteen years later we had a hearing, and through that
20 hearing Kalish said -- well, I wish Jason would have been
21 like this or -- or you folks would have been like that --
22 he -- Jason himself -- not Jason, but Kalish, what he went
23 ahead and did is, we're going to design these -- and
24 they're not pits; they're cells, okay -- and we're going
25 to design this so you don't pond more than three inches in

1 a cell.

2 That's what the whole design was, and since
3 then, everything has been working great as we go over
4 there and we Roundup and everything is dry. Actually,
5 that's the picture that I just showed you.

6 Everything dries in one day, so the following
7 day you'll have a dry cell, because it's just spread out
8 at an inch -- inch to inch and a half.

9 And I just -- I just really feel that I'm
10 getting the end of the stick here.

11 Q. Okay. I'm asking about Kalish. Okay?

12 A. Okay.

13 Q. But I'm going to ask you the question.

14 Did Mr. Kalish visit your site?

15 A. Yes, he did.

16 Q. Was he -- did he understand how you operated,
17 as -- as shown in this -- this picture?

18 A. Yes. Well, he's the one that designed this.

19 Q. So he designed it. He put restrictions on how
20 you operate.

21 How long was he the permit writer or the person
22 on -- in charge of your site?

23 A. I would say 13 years. He was there for a long
24 time.

25 Q. Did he ever suggest you drill 180,000 -- drill

1 and sample \$180,000 worth of samples in order for this
2 site to be safe?

3 A. No, he didn't do that, and I -- I feel if he
4 would have, he would have been misusing his power through
5 the State.

6 Q. Okay. Well, he didn't do it. That's my point.

7 A. No.

8 Q. So for each of those 12, 13 years, he was aware
9 of what you were doing, he had the records, he could visit
10 the site, and he never proposed a single deep boring as
11 Jason Herman has?

12 A. No, he didn't do that, but I was asking Jason, I
13 wish maybe the question that can be asked is -- I had a
14 friend, Bill Mansker, which passed away, and he was a
15 genius geologist, and at the time -- I think for the whole
16 five years -- and I asked Jason this question.

17 They were -- we were doing a one-foot hole,
18 two-foot hole, a three-foot hole, and we were getting
19 samples. I asked -- I asked Jason, what were the samples?
20 I wanted to see the paperwork, what was the conclusion.

21 The reason I was asking him, because the
22 following next five years they didn't ask us to do that,
23 so in my opinion, it must have been that they felt it
24 was -- that it -- that it wasn't contaminating the soil,
25 because they didn't ask me to do that anymore.

1 They -- they said, that's enough; that's it; you
2 don't have to do it this -- this five years.

3 Q. So you've had -- my review of the records
4 indicates you've had five permits before this one, and
5 each of those permits has a section on monitoring.

6 And is it correct that none of them -- or any of
7 those five permits have suggested or required a single
8 boring like the five borings suggested?

9 A. No. The only thing that was required -- and
10 then I asked Jason, I wish he could answer to it, because
11 it seems like I can't get a good answer from him -- is,
12 the State went over there and we dug a hole.

13 Bill Mansker was there with me and we got backup
14 samples, and I kept asking Jason, what do those backup
15 samples say, because I'm real interested; are you making
16 me do all this when the backup samples that the State has
17 show that we were -- we were doing fine.

18 Q. Now, your -- and my understanding is in 2012 you
19 didn't have a hearing?

20 A. Yes.

21 Q. The State issued you a permit with no borings
22 like are suggested now essentially on their own accord,
23 without you even contesting that?

24 A. Right.

25 Q. They proposed that, and you accepted it?

1 A. Yes.

2 Q. What has changed from 2012 to 2019 other than
3 Mr. Kalish has been replaced by Mr. Herman in terms of --
4 in terms of the geology on your site --

5 A. Nothing.

6 Q. -- the way you operate, or --

7 A. Nothing has changed. Everything has been the
8 same.

9 The only thing that has changed is when Jason
10 came in, and I really felt -- me and my wife met him that
11 day, and I felt he didn't like us.

12 And this thing of -- the statement that she --
13 that she said, ma'am, was completely false.

14 MS. LESLIE: Which one?

15 THE WITNESS: The one where -- about the grease
16 and all of this. That was completely false.

17 BY MR. DOMENICI:

18 Q. Explain the grease allegations.

19 A. What it was, I guess Matthew -- and then my
20 question would be to ask Jason, what was the evidence of
21 you going over there and harassing me on my dump site?

22 Q. I'm asking you.

23 A. Okay. What it was is he -- Mathew of the
24 environmental office was passing by Monte Sagrado. He --

25 COURT REPORTER: I'm sorry; what?

1 THE WITNESS: Monte, M-o-n-t-e, Sagrado,
2 S-a-g-r-a-d-o.

3 A. And I want you to listen to this, because you
4 did a lot of false statements. You slandered me.

5 He passed by. He called Jason or he emailed
6 him. And I confronted Mathew, and he felt real bad about
7 it because he said he saw me pumping grease. Okay?

8 What was the evidence of him even seeing me pump
9 grease? Did he get out? Did he check? Okay. So anyway,
10 he gives it to Jason, and -- and Jason tells him, I'll
11 surprise him.

12 You did surprise me. My wife was never around
13 like you said she was. We were on our way to Albuquerque.
14 And you were -- you were insisting and you were harassing
15 me to open that gate and get you in. I told you, I can't;
16 I'm already on my way to Albuquerque. I was way out there
17 already.

18 Well, let me tell you now, Jason -- and let me
19 tell you -- that I have an area where I dispose of grease
20 and I do have a manifest of Monte Sagrado.

21 So all this that you accused me and went and got
22 a sample and harassed me, I just felt that you haven't
23 liked us, and I just wanted to say that.

24 If you want to see a manifest, I'll show you the
25 manifest, and I will show you where I can dispose of

1 grease.

2 Q. Tell -- tell -- put on the record where you can
3 dispose of grease.

4 A. Pojoaque facility.

5 COURT REPORTER: I'm sorry; what?

6 THE WITNESS: Pojoaque. Okay. P-o-a-q-u-e
7 (sic).

8 MS. LESLIE: Nobody can spell Pojoaque.

9 THE WITNESS: P-o-a -- P-o-a-q-u-e (sic) -- very
10 close.

11 MR. DOMENICI: P-o-j-o-a-q-u-e.

12 THE WITNESS: I forgot the J.

13 A. But -- but there's -- I have a manifest and we
14 do pump grease and we do take it to Pojoaque, so this
15 statement -- wherever you got it or whatever is going on
16 there -- is an -- is an untrue statement.

17 And -- and Jason had told me that he had seen my
18 wife over there. How ridiculous. Why would my wife be
19 going over there when we were on our way to Albuquerque?
20 To me, Jason, you are fantasizing, because she was never
21 on -- over there.

22 And she wasn't there -- where you thought she
23 was there, she wasn't there. She was with me, and we were
24 going to Albuquerque, and no, I wasn't going to let you in
25 my site if I'm not there.

1 And I wasn't going to turn around at that time
2 to go over there and open the gate. I had a doctor's
3 appointment, and I mean --

4 Q. Okay. That's enough of that. So the NMED
5 issued a draft permit. That's why we're here today.
6 Mr. Snyder testified on two conditions.

7 Are you prepared to satisfy the other conditions
8 of that draft permit?

9 A. What Mr. Snyder -- I am -- I am ready to meet
10 those conditions.

11 Q. Okay. Let me -- let me say it -- let me make it
12 clear. I understand you support the conditions that Mr.
13 Snyder stated --

14 A. Yes.

15 Q. -- and you're prepared to comply.

16 Are you prepared to comply with the rest of the
17 conditions in that draft permit?

18 A. Yes.

19 Q. One last question. Have you ever willfully
20 tried to violate an environmental law?

21 A. No, but if I could say something here. They
22 say, well, you took so long to comply with this and that.
23 The Groundwater Department did not have the right
24 personnel at the time.

25 And this thing that I didn't -- for two years

1 that I -- that -- me and my wife went through hell. Just
2 to let you know, we lost a son, and we were completely not
3 there until today.

4 My son is going to be about close to what, three
5 years -- three years now that he -- that he actually -- he
6 died, and if you think if you lose a son that you think
7 you can operate like a normal people person, you can't.

8 And to know that -- you were saying two years it
9 took me to -- that I was late on my permit, they didn't
10 have a staff.

11 Jason came in at a certain time and -- and then
12 he filled in that position, but there was not a staff for
13 a while.

14 Q. How suddenly did Dr. Mansker die? What were the
15 circumstances? Did you know he was going to die and make
16 arrangement to transition all of his information, or was
17 his death unexpected?

18 A. Dr. Mansker, Ph.D., was a good friend of mine.
19 If he would be alive today, he would be here testifying in
20 this hearing. Mr. Mansker died unexpectedly.

21 They were probably -- he was probably my best
22 friend. Loretta's -- Mansker's wife, Karen, was Loretta's
23 best friend.

24 But he died -- I guess what -- I can say
25 something is, we asked if we could get an extension due

1 that Bill Mansker was not around. We were denied by the
2 State. We were denied by the State.

3 Even a person dying, they should have at least
4 said, well, you know, we'll -- we'll give you an extra --
5 everything we were asking for we were denied. I just feel
6 that all the way we have been treated unfairly.

7 Q. Has Jason told you that he has had your entire
8 file available and that he understands it and has reviewed
9 it and has he indicated that he has not had the
10 opportunity to review your file?

11 A. Well, I did ask him questions about the soil
12 testing. I had asked him in Albuquerque. When he was
13 there, I had -- I would -- I emailed him and I told him I
14 want this and I want that.

15 So when he got over there I asked him like,
16 where is it, and he says, well, it's up to Pete, Pete has
17 them, you know, but it seems to me like you just didn't
18 want to look for it.

19 And we -- we needed them, and I still to this
20 point, till this day I wonder about -- about those
21 samples -- backup samples that the State did -- I still
22 wonder what they say.

23 MR. DOMENICI: Thank you. That's all I have.

24 HEARING OFFICER ORTH: All right. Thank you.

25 Mr. Johnson, do you have questions of Mr. Rael?

1 MR. JOHNSON: I do. How would you like me to
2 work the microphones? We just have one that works right
3 now.

4 HEARING OFFICER ORTH: Can you do what
5 Mr. Domenici did, please?

6 MR. JOHNSON: All right.

7 CROSS-EXAMINATION

8 BY MR. JOHNSON:

9 Q. Mr. Rael, I'm going to start with just a quick
10 touch on the wastewater treatment plant.

11 Does the -- the draft permit at issue today,
12 does it reduce the amount you're allowed to dispose of or
13 require you to take your discharge to the wastewater
14 treatment plant?

15 A. I -- does it require me to take it to -- to the
16 wastewater treatment plant is what you're asking?

17 Q. Correct. Does the discharge permit require
18 that?

19 A. No, it doesn't, but I -- but I did -- but I did
20 check. I went over there and -- I went out there to check
21 the wastewater treatment plant, because I heard that
22 people -- the guy that works there, Gene, was telling me
23 that they were asking letters -- that people were --

24 MR. JOHNSON: Hearing Officer, can he stop right
25 there, because that answered my question?

1 HEARING OFFICER ORTH: Right. Mr. Rael, I -- I
2 have to ask you to listen to the question carefully and
3 not go off on a tangent, but just answer the question.

4 THE WITNESS: I want to answer the question, but
5 I want to be able to answer it properly.

6 HEARING OFFICER ORTH: Okay. So if you have
7 more follow-up, your counsel can elicit it from you if
8 it's important.

9 So I believe his answer was no?

10 MR. JOHNSON: Correct.

11 HEARING OFFICER ORTH: Okay.

12 BY MR. JOHNSON:

13 Q. All right. And -- and does the draft permit as
14 written reduce the amount you're allowed to dispose of?

15 A. Does it reduce the amount? You're talking about
16 the -- the DP-465 that I have now?

17 COURT REPORTER: I'm sorry; the what?

18 THE WITNESS: DP-465.

19 A. I have a limitation to what I can actually dump
20 there.

21 Q. What I'm asking is, does the draft permit at
22 issue today, does it reduce the amount you can discharge
23 compared to the last permit from 2012?

24 THE WITNESS: Can I answer it fully?

25 HEARING OFFICER ORTH: Answer it yes or no.

1 THE WITNESS: Well, it's not going to be a yes
2 or no, because I've got to explain it, and I want to
3 explain it -- what happened.

4 A. What it is is that 1987 --

5 Q. I don't think anything has happened --

6 A. -- to 2000 --

7 HEARING OFFICER ORTH: Mr. Rael, hold on. I'm
8 sorry.

9 Mr. Domenici, is this not a yes-or-no question?

10 MR. DOMENICI: It's a yes-or-no question. I
11 agree, it's yes or no.

12 He's asking if this draft permit reduces what
13 you currently -- the amount you can dispose of.

14 THE WITNESS: Well, it -- it did reduce it from
15 the -- when I did start way back in 1987.

16 MR. DOMENICI: All right. It's the -- you're
17 disposing -- you're working today under a permit.

18 THE WITNESS: Correct.

19 MR. DOMENICI: It has a limitation.

20 THE WITNESS: Right.

21 MR. DOMENICI: Does the draft permit change that
22 limitation?

23 THE WITNESS: No.

24 MR. DOMENICI: All right.

25 MR. JOHNSON: Thank you.

1 HEARING OFFICER ORTH: Thank you.

2 BY MR. JOHNSON:

3 Q. Now, in your testimony that you just provided, I
4 believe -- I just want to correct for the record -- I
5 think you said that the wastewater treatment plan limits
6 each hauler to 1,000 gallons per day.

7 Is it not actually 10,000 gallons per day?

8 A. Oh, if I did -- if I said 1,000, I was wrong.
9 It's 10,000. If there's three haulers that haul ten
10 thousand, that's the end of the dumping at the wastewater
11 treatment plant.

12 Q. Okay. Thank you. And to touch on what -- what
13 you alleged that Mr. Herman said about, there comes a time
14 to close a site, he tells me that's not what he said.

15 So when did that happen and where?

16 A. That happened in his office.

17 Q. So it was in person?

18 A. It was in person.

19 Q. And that upset you, but you didn't file a
20 complaint with the Department?

21 A. I don't think I should be filing a complaint
22 every time -- what -- what -- why would I file a complaint
23 at the time?

24 Q. Well, you stated that as if it was particularly
25 egregious.

1 Did you not want to take it to the authorities
2 if it was that -- something like that was said?

3 A. Well, aren't the authorities here? I'm saying
4 it right now because, you know, I'm -- I'm -- I'm open and
5 I can testify on it.

6 Q. Okay. So you were talking about Mr. Mansker,
7 your previous environmental consultant.

8 Did -- did he pass away in -- was it late 2018?

9 A. I'm not too sure of that.

10 Q. What's your best guess? What year?

11 You said he was your best friend, right?

12 A. It probably hasn't been a year yet. Probably
13 maybe --

14 MRS. RAEL: January 13th of '19.

15 THE WITNESS: Oh, is that --

16 MRS. RAEL: January 13th, 2019.

17 MR. JOHNSON: Okay. Thank you.

18 HEARING OFFICER ORTH: That was Mrs. Rael.

19 MR. DOMENICI: All right. Thank you.

20 BY MR. JOHNSON:

21 Q. So you've been through the renewal process at
22 least five times, but you were due to submit a renewal
23 application at the end of 2017.

24 Now, Mr. Mansker was still alive at that time,
25 correct?

1 A. Let me just tell you about Mansker. He was
2 alive, but he was a very sick man. They cut his leg off.
3 They cut his toes off. He was going partially blind.

4 So you're talking about a -- you're asking me,
5 well, he should have taken care of it. He was a very sick
6 man.

7 Q. Well, if he -- if you know he's that sick and
8 you don't expect him to be following through on the
9 environmental consulting job you hired him for, isn't it
10 your responsibility to file your renewal application?

11 A. It is, and I think it's the -- the -- the
12 responsibility of the State to notify me that your
13 application is going to be due.

14 Q. Okay. So did Mr. Herman provide you with a copy
15 of the draft permit that we're talking about tonight
16 approximately 30 days prior to it entering the public
17 notice period where public comment is expected to be
18 received?

19 A. We -- we did receive something, but at the time,
20 usually Bill took care of us, and for us to have gotten
21 what we got, we really -- as not knowing what it was, we
22 didn't understand it.

23 Q. Okay. Well, when the -- the window -- the
24 proper window for public comment ran between -- this is
25 what we call public notice two -- ran from late May to

1 late June of this year, did you submit any comments at
2 that time?

3 A. At that time I really didn't know what was going
4 on, to be honest with you. When it was coming out and
5 when it was being asked, we didn't have -- if anybody was
6 going to do a public comment, it would have been Bill
7 Masker at the time. That's why we asked for an extension.

8 Q. And that's where I was going next.

9 Did Mr. Herman not, in fact, grant you a 30-day
10 extension to submit comments?

11 A. Not that I know of. Is it on paper? Do you
12 have anything --

13 Q. Well, you just --

14 A. -- stating --

15 Q. -- you just said you requested one, correct?

16 A. I requested one, but I -- I was denied -- I
17 think I was denied, but I don't know who --

18 THE WITNESS: Who denied it, Loretta, the
19 request?

20 A. I think Pete -- Pete -- Pete asked for several
21 requests, and every request that we asked for we were
22 denied.

23 HEARING OFFICER ORTH: Mr. Johnson, I believe
24 Mr. Rael is speaking of the hearing date.

25 MR. JOHNSON: Okay.

1 BY MR. JOHNSON:

2 Q. Okay. What I'm talking about is an opportunity
3 before we started to schedule a hearing date just to
4 provide some comments on this draft permit to the
5 Department where you could make some negotiations before
6 it got to being scheduled for a hearing.

7 A. Yeah, I -- I do remember something about talking
8 to Jason about that, but at the time, you know, things
9 were happening and just -- we just needed somebody to --
10 somebody like Bill Mansker that could help us.

11 You know, we -- we are not in the -- filling in
12 the application that Bill did for us for years.

13 Q. Well, in the phone call where you requested that
14 extension, wasn't by that point Mr. Domenici also on the
15 call?

16 A. That I don't remember. I mean, you can ask him.

17 Q. Okay. But you haven't submitted any comments
18 to -- to negotiate the conditions of this permit?

19 A. Well, we were denied. We were denied. That's
20 all I know. Maybe -- maybe we didn't do it within time,
21 but we -- I know that we did mention that Bill Mansker had
22 died and we were left in a bad situation, and whatever
23 they sent us at the time, we really didn't understand
24 what -- what they were asking us for. That's -- that's
25 the truth.

1 If we missed the appointment or the date and
2 time it's because we just did not understand exactly what
3 they were asking for.

4 Q. Okay. Let's -- let's go a little further back
5 in time.

6 Isn't it true that S & R Septic did not file any
7 of it's biannual monitoring reports between 2005 and 2013?

8 A. That -- that would probably have to be correct.

9 Q. And so if eight years of data is missing,
10 wouldn't it logically create some uncertainty with the
11 Department about what was discharged and how much?

12 A. Let me tell you, it wasn't there, but it got
13 there.

14 Q. You're saying that those eight years are now --

15 A. It wasn't eight --

16 Q. -- filed?

17 A. -- it wasn't eight years. Where are you getting
18 eight years from?

19 Q. Our records show a gap from 2005 to 2013.

20 A. That's incorrect.

21 Q. You're saying you submitted monitoring reports?

22 A. Yeah, we submitted -- well, I don't -- not eight
23 years that you're telling me we didn't submit monitoring
24 reports. That's wrong.

25 Q. I don't think it's wrong for those years, but

1 that's your testimony, and I'll -- I'll move on to what I
2 think you are talking about. Okay?

3 Isn't it true that Mr. Herman had to issue a
4 Notice of Noncompliance in 2015 to get you to provide
5 monitoring reports for the last five years?

6 A. That could have been possible.

7 Q. And didn't that Notice of Noncompliance also
8 require you to install splash pads and proper signage as
9 required by the 2012 permit?

10 A. Can I talk about that? Can I answer it, because
11 I just can't answer it like that? I would like to answer
12 it properly.

13 Q. Go ahead.

14 A. There was a lot of stuff that Melanie -- the
15 boss in Rio Rancho -- was satisfied with the splash pads
16 that we had, but when it came to Herman, it wasn't good
17 enough for him.

18 We also had signs all over the place, but they
19 had to be bigger, even though it doesn't say anywhere that
20 they had to be bigger.

21 Everything that Melanie would tell us was fine
22 Jason would say is not fine.

23 Q. Is the size of the splash pads specified in the
24 2012 permit?

25 A. What I had, when Melanie saw it herself, she

1 approved it. She approved it.

2 Q. Okay. That didn't exactly answer my question.

3 A. Yeah, but I'm just telling you, if I got her
4 approval, that's enough for me. She approved it.

5 Q. Well, is it unreasonable for Mr. Herman to
6 require you to abide by the actual language of the 2012
7 permit?

8 A. Well, let me -- let me tell you, I had -- not
9 what you would call splash pads, but I had a bunch of
10 cement there that served as splash pads, and that's what
11 Melanie saw.

12 She okayed that, so I don't know. Are you
13 saying that Melanie is below Jason?

14 Q. I'm saying that whatever is written in that 2012
15 permit, whoever was closest to getting you to abide by
16 that was doing their job the most properly.

17 A. Well, I spoke to Melanie because I just felt
18 things weren't right --

19 Q. Okay.

20 A. -- and then she's the one that okayed it, but
21 again, I feel that there was something wrong with him that
22 we weren't getting treated properly.

23 Q. Okay.

24 A. And let me just tell you why I think he -- let
25 me answer real quick. Jason only has two years with

1 Groundwater. That tells me he's pretty green. That tells
2 me he could make a bunch of mistakes.

3 He said, I think, he did a process of 21
4 permits. Out of the 21 permits, why were we chosen after
5 being in business 32 years? We've been in business over
6 40 years, but 32 years with -- with our dump site.

7 Why in the dickens -- what did we do so wrong,
8 that changed, that he's asking for something so strict?
9 And I really -- again, I'm going to say I really feel he's
10 shooting to -- to put us out of business.

11 Q. We'll -- we'll explore his qualifications and
12 rationale in his testimony, but for now I want to move on
13 to the couple of comparisons you made with the septage --
14 septic tank leach fields at the Taos Mesa Brewery and the
15 RV park.

16 You've talked about them as maybe causing
17 greater contamination than your site would, but are they
18 not, in fact, governed by a different group of statutes
19 and regulations than what governs groundwater? Are they
20 not liquid waste program?

21 A. Okay. I always understood that anything over
22 2,000 gallons was groundwater.

23 Q. Well, there's a liquid waste program, and
24 does -- does it not limit discharges to no more than 5,000
25 gallons a day if it's going to be regulated by the liquid

1 waste program?

2 A. That must have just changed, but I -- I know
3 that 2,000 gallons and over was a groundwater permit. But
4 even if it wasn't -- even if it wasn't, if you can dump a
5 total of -- 4,000 times 12 is what, 24 -- 24 times --

6 Q. Well, let's --

7 A. -- a whole month.

8 Q. -- let's talk some more about the comparisons
9 and the differences.

10 Aren't the solids from the leach fields that are
11 associated with that brewery and that RV park actually
12 pumped out and redeposited at a disposal site like yours?

13 A. That's where I come into -- to a place where I
14 find myself to be pretty good at -- at what I do. It --
15 it's pumped, but is it pumped --

16 COURT REPORTER: I'm sorry. I'm sorry; could
17 you say that again?

18 THE WITNESS: What I'm saying is -- he's asking
19 me about the tank being pumped.

20 BY MR. JOHNSON:

21 Q. What I'm asking is what the difference between
22 these septic tank leach fields is and your facility, and
23 isn't it the fact that what you dispose of at your
24 facility is what was pumped out of theirs?

25 A. That -- that doesn't make it any better. What

1 I'm trying to say is -- and I'll repeat myself again -- is
2 that they actually have a system that allows it to
3 percolate into the ground.

4 Q. And what's percolating? Is it effluent --
5 liquid effluent?

6 A. It's the liquid effluent, but let me tell you a
7 little bit. I'm an expert at installation and putting in
8 septic tanks. I've done it for 40 years.

9 If you want to tell me what a leach field --

10 COURT REPORTER: I'm sorry. I'm sorry; if you
11 want to tell me what a leach field --

12 THE WITNESS: Looks like.

13 BY MR. JOHNSON:

14 Q. Okay. So let's --

15 A. Okay. So a leach field does carry a lot of
16 contamination in the leach field. If you did them all
17 leach field -- leach fields don't last forever. Even if a
18 tank is being pumped out, they don't last forever.
19 There's a great contamination.

20 If you would see me dig up a leach field -- an
21 existing leach field -- you would understand that there's
22 a great contamination that actually flows into the ground.

23 Q. The purpose of a septic tank is to create
24 separation, correct?

25 A. But it doesn't. But it doesn't.

1 Q. Well, that's a septic tank's role.

2 A. I -- I put septic tanks in all the time, and
3 when a leach field gets saturated, right, it gets
4 saturated for a reason why, and it stops working.

5 Why does it stop working? Because all the gooey
6 stuff that's in that tank gets in the leach field and
7 plugs it.

8 Are you trying to tell me that it's clean
9 water --

10 Q. Well, I'm talking about --

11 A. -- getting into the leach field?

12 Q. -- a septic tank --

13 COURT REPORTER: One at a time, please.

14 Q. -- that's working correctly.

15 COURT REPORTER: Please.

16 HEARING OFFICER ORTH: One at a time. So --

17 COURT REPORTER: I need your question over.

18 HEARING OFFICER ORTH: I'm sorry, Rebecca.

19 Mr. Rael, I'm going to ask you to slow down a little.

20 THE WITNESS: Okay. I will.

21 HEARING OFFICER ORTH: When you become agitated,
22 you -- you speak too quickly.

23 THE WITNESS: Okay. I'll -- I'll --

24 HEARING OFFICER ORTH: And Mr. Johnson --

25 THE WITNESS: -- slow down.

1 HEARING OFFICER ORTH: Okay. And Mr. Johnson --

2 THE WITNESS: I'll --

3 HEARING OFFICER ORTH: -- if you would please be
4 careful not to --

5 THE WITNESS: I guess he's asking me a question
6 where I really find myself to be very professional. I
7 have put in hundreds of leach fields, and to say that the
8 treatment system treats it, that the water comes off
9 clean, is not true. It's not true.

10 MR. JOHNSON: I'm not getting my question
11 answered, actually.

12 COURT REPORTER: I'm sorry?

13 MR. JOHNSON: I'm not getting my question
14 answered. I haven't been allowed to ask it yet.

15 HEARING OFFICER ORTH: Okay. Mr. Rael, please
16 listen to Mr. Johnson's question.

17 BY MR. JOHNSON:

18 Q. What I would like to know is, when a septic tank
19 is working correctly, do the solids not separate and stay
20 towards the bottom?

21 A. That's incorrect.

22 Q. Is that not what it's supposed to do?

23 A. That's incorrect.

24 Q. So when it gets pumped, what are you extracting
25 from the septic tank?

1 A. There's solids in there, but if the person does
2 not pump their tank like they should have, those -- that
3 liquid gets into the leach field, and that liquid that's
4 real nasty plugs up the -- the leach field and it has to
5 be replaced.

6 Q. Okay. I'm not talking about people that don't
7 operate them properly.

8 So if they are operated correctly, are not those
9 two facilities we were discussing -- Taos Mesa Brewery and
10 the RV park -- quite different both in their operating
11 nature and their regulatory scheme than yours?

12 A. I -- I still say that they contaminate
13 groundwater a lot quicker due to that they have a system
14 that actually absorbs the liquid from the tank into the
15 surface.

16 Let me just tell you something. It only takes a
17 month to -- if a -- if it's -- two persons can fill up a
18 whole tank takes about a month. That's all it takes.

19 And if you tell me this RV park that can
20 discharge 2,000 gallons a day, well, that tank is going to
21 fill up pretty quick and it's going to start draining into
22 the leach field pretty quick.

23 Q. Okay. Let's talk just briefly about how the
24 cells at your site work.

25 You've stated you've been limited to a

1 three-inch head for several years now, correct?

2 A. Yes.

3 Q. And -- but Taos gets quite cold in the winter as
4 well, correct? So --

5 A. I've got an answer for you.

6 Q. Well --

7 A. Correct.

8 Q. -- the question, though, is, how can you be sure
9 that evaporation is eliminating a significant amount of
10 your septage during those winter months?

11 A. I'm glad you asked that question. If you live
12 in Taos, Taos freezes up completely. You can go to
13 eighteen inches to two feet of frozen ground.

14 When you get to that one area, you're not going
15 to have any percolation into the ground. It's going to
16 work 100 percent with evaporation.

17 I -- I -- I work a backhoe. I work -- I work
18 everywhere.

19 COURT REPORTER: I'm sorry; would you say that
20 again? I work --

21 THE WITNESS: I work a backhoe. I operate a
22 backhoe.

23 A. I -- I -- I've dug -- dug holes in the winter.
24 I've had to build fires to thaw out the ground.

25 And in my site, in December, January, the ground

1 is completely frozen to where you're not going to get any
2 percolation into the ground. That I know.

3 Q. So you're asserting that there's a high level of
4 evaporation in January in Taos?

5 A. There's evaporation, period -- period.

6 Q. All right. So you talked a little bit about the
7 past requirements or lack of requirements in earlier
8 Environment Department permits.

9 So one thing that you said was that there hadn't
10 been any soil borings required in the past.

11 Is it not true that in 2000, the EPA and the
12 Environment Department undertook and took on the cost to
13 do some soil borings of their own on your site?

14 A. Okay. What that -- what that is is another area
15 where at the time, when the State went in -- you're
16 talking about the State, when they went in and did a --
17 took the drilling?

18 Q. (Nods head.)

19 A. At that time I was able to discharge up to
20 20,000 gallons a day. At that time there was not a
21 wastewater treatment plant.

22 At -- at that time the State went in -- and
23 that's why I'm wondering why am I going through this --
24 the State went in, and at the time I was only dumping in
25 one pit.

1 I was dumping all the way to four feet in
2 that -- I'm going to say a cell -- up to four feet in that
3 cell.

4 The State went in in that same pit and they went
5 ahead and drilled, and they have a study that the -- that
6 the wastewater had gone down 30 feet -- you should have it
7 there -- 30 feet, but at 30 feet -- listen to this --
8 there was no contamination, so I'm wondering, what in the
9 dickens is going on that the State is asking me to do
10 ridiculous stuff.

11 Q. It's your testimony that no contamination was
12 found at 30 feet?

13 A. That's what I heard. That's what -- well --
14 well, we can bring it up.

15 Q. Right.

16 A. I'm -- I'm going to say --

17 Q. We can --

18 A. -- I'm -- I'm going to -- I'm going to say that
19 that's pretty close.

20 Q. All right. We may testify differently later on.

21 Did that report that came from those -- those
22 drillings not predict that it could be approximately 60
23 feet of vertical migration by -- by this --

24 A. You're asking if --

25 COURT REPORTER: I'm sorry.

1 A. -- you're asking --

2 COURT REPORTER: I'm sorry; wait a minute. By
3 this what?

4 MR. JOHNSON: Time period.

5 COURT REPORTER: Okay. Go ahead.

6 MR. JOHNSON: Present date.

7 A. You know, I'm not an expert at that to answer
8 that question.

9 Q. Okay. All right. Then finally, we talked about
10 how there wasn't a hearing for the last permit renewal in
11 2012.

12 Are you aware that there was not a hearing
13 requested?

14 A. I know there wasn't a hearing requested, and I
15 think I spoke -- I can't understand who -- I can't
16 remember.

17 I know I spoke to a lady and -- and I asked her,
18 why is it that we need to have a hearing this time, and
19 the reason was, she said, because the people asked the
20 same question.

21 And -- and I know it was somebody of authority.
22 I think it's going to be the -- the boss on the very top,
23 but I'm not sure 100 percent.

24 Q. Well, we heard the testimony or the explanation
25 from the Hearing Officer earlier that in order for a

1 hearing like this to occur, you need to have a
2 determination of significant public interest.

3 Do you remember that?

4 A. Yeah, there's a -- there's a public interest,
5 and I -- I guess, you know, there is a lot of people that
6 complained.

7 I'm -- I'm real -- one of the things that opened
8 the door -- and I'm not picking on John over here, but the
9 El Prado Water Association --

10 COURT REPORTER: The what?

11 THE WITNESS: El Prado Water Association.

12 A. -- decided to put a well right by my dump site,
13 and then I -- I've been there 32 years, and now they're
14 asking me to do this and do that.

15 And I -- I think if anything, it was triggered
16 by them on -- on whatever they did to talk to the State or
17 whatever, they wrote in or whatever they did, but that
18 triggered it to have a hearing.

19 Q. I think that the issue I'm getting at is that
20 it's not entirely up to the Department's discretion,
21 correct, whether there's a hearing?

22 A. Well, the way it's going now, to have five holes
23 to be drilled to cost me 180,000, that doesn't seem fair,
24 you know, and that's one thing I want to mention. Okay?

25 Jason told me that we -- that he was going to be

1 in the middle, right? He wasn't going to go this way and
2 he wasn't going to go that way, but yet I see the
3 Department has gone completely to the left.

4 Q. We'll testify about that a little bit later too.

5 MR. JOHNSON: I have no further questions.
6 Thank you.

7 HEARING OFFICER ORTH: Thank you. It's been two
8 hours since we started, and we do need a break. Let me
9 just ask, though, Mr. Brockmann, are you going to have
10 questions of Mr. Rael?

11 MR. BROCKMANN: Madam Hearing Officer, no, we
12 won't.

13 HEARING OFFICER ORTH: You won't.

14 MR. BROCKMANN: Maybe there will be one or
15 two -- I'll just confer with Mr. Painter on break -- but
16 if we do, it will be very short.

17 HEARING OFFICER ORTH: Okay. Is there anyone
18 else? There are other people who want to ask questions.
19 We need a break, though.

20 MR. DOMENICI: Sure.

21 HEARING OFFICER ORTH: Let's take ten minutes.

22 (Recess was held from 11:36 p.m. until
23 11:44 p.m.)

24 HEARING OFFICER ORTH: Okay. We're coming back
25 from the break.

1 All right. We're going to have Mr. Rael back at
2 the witness table and, let's see, Ms. Leslie, did you have
3 some questions --

4 MS. LESLIE: I do.

5 HEARING OFFICER ORTH: -- of Mr. Rael?

6 MS. LESLIE: Yes.

7 HEARING OFFICER ORTH: All right. If you would
8 stand maybe at the podium and keep your voice way up.

9 MS. LESLIE: Okay. Keep my voice what?

10 HEARING OFFICER ORTH: Up.

11 MS. LESLIE: Up. That I can do.

12 Mr. Rael, I just have a couple of questions for
13 you about your business.

14 CROSS-EXAMINATION

15 BY MS. LESLIE:

16 Q. How many trucks do you own?

17 A. I own two, but -- I mean, I own three. One is
18 down. It's -- it's like I always got to keep the trucks
19 working properly.

20 I only -- I only run one truck and then that --
21 that's about it, but if one breaks, I have another one to
22 back it up.

23 Q. What's the capacity of each of those two trucks?

24 A. There -- there's a 5,000-gallon truck and a
25 3,500-gallon truck.

1 Q. Okay. What's the number of customers that you
2 service in a month?

3 A. That I couldn't answer you.

4 Q. Okay. How long is your workweek? How many days
5 a week do you haul?

6 A. I'm a workaholic. I do installation of septic
7 tanks. I do all kinds of other systems, sewer and drain
8 cleaning, and, you know, if I have to pump a tank, my son
9 will do it.

10 But I don't just do one thing. I -- I do -- I'm
11 certified as an inspector when a house needs to be
12 inspected, so I -- I -- I don't just do one. I do a bunch
13 of stuff.

14 Q. How many days a week do you haul sewage?

15 A. Whenever they call. When there's an emergency,
16 that's when we'll be there.

17 Q. Okay. I noted that -- what I had read from the
18 record was -- from NMED records -- I -- I didn't make it
19 up -- you filed a report with the NMED for the months of
20 January through June of 2018 which said you hauled 275,000
21 gallons in that six months.

22 Is that accurate?

23 A. That I would have to go back and check. I'm not
24 going to be answering something without actually being
25 able to look at the statistics.

1 Q. So that -- that is the report that you filed,
2 but just for the purposes of my questions, will you accept
3 that what you filed is accurate?

4 A. I'm not going to answer that --

5 Q. So it might not --

6 A. -- because I would have to see it myself. I'm
7 not going to answer it.

8 Q. All right. So if that is the case, that what
9 you reported is accurate, that is 45,833 gallons per
10 month, and if you're hauling only five days a week, that
11 is 2,131 -- almost 32 -- gallons a day.

12 Does that sound right?

13 A. I think your statistics, your -- your analysis
14 is wrong. I think you need to go back and really --
15 really check it --

16 Q. Okay. I got --

17 A. -- because I think -- I --

18 Q. -- it from your records.

19 A. -- I -- you said a lot of wrong stuff, so that
20 could be wrong too.

21 Q. Well, I got it from your record. Let me just
22 say that.

23 So if all of the haulers -- are you the largest
24 hauler in Taos? Do you have the most number of customers?

25 A. Ma'am, I don't check people's book, and I don't

1 see who's doing what.

2 Q. Okay. Well, if everybody hauls 2,131 gallons a
3 day for a five-day week, that is only -- that's for 13
4 haulers -- that would only be 27,712 gallons a day, and
5 that would be below Taos County Municipal -- or I'm sorry;
6 the Taos Municipal Waste Treatment System's capacity,
7 right?

8 A. Whatever you say.

9 Q. Okay. So also, the waste treatment center,
10 their capacity of 30,000 gallons is 900,000 gallons a
11 month, because they do operate 24/7.

12 A. But ma'am, they don't operate 24/7. They say a
13 lot of stuff, but they're not living it.

14 Q. So what they say on their website is false?

15 A. Well, let me just tell you, right now what it
16 says on the website or -- or --

17 COURT REPORTER: I'm sorry; what it says on the
18 website or --

19 THE WITNESS: The website that she's talking
20 about, and I explained it if she would have listened to me
21 a while ago.

22 A. I said that they are even supposed to be
23 charging us by the gallon, and they're not charging us by
24 the gallon.

25 They changed it, and what they're doing right

1 now, if I go in with a 5,000-gallon truck, which I have,
2 and dump 1,500 gallons, they charge me the full price, so
3 they're going against their rules and regulations.

4 Q. Well, what I read on the website said that
5 that's accurate unless --

6 A. It's not accurate, ma'am.

7 Q. -- you have --

8 A. It's not accurate. What you're reading, they're
9 not doing it.

10 Q. Mr. Rael, you can't interrupt me while I'm
11 asking the question, and I won't interrupt you.

12 Is that a deal?

13 A. It sure is.

14 Q. Okay. That's for the court reporter's benefit.
15 You understand that. She can't record both of us at once.

16 A. Well, go ahead. Continue.

17 Q. Okay. So 900,000 gallons is -- appears to be
18 very much within the number of gallons that are hauled by
19 13 haulers a month, so I don't think that there is a
20 limitation that would keep you from dumping your loads.

21 A. You're wrong again.

22 MR. DOMENICI: I want to object.

23 A. You're wrong again.

24 MR. DOMENICI: The testimony --

25 MS. LESLIE: Yeah, I --

1 COURT REPORTER: One at --

2 HEARING OFFICER ORTH: Hold on, Mr. Rael.

3 MS. LESLIE: I'll withdraw the question.

4 HEARING OFFICER ORTH: Thank you.

5 MS. LESLIE: All right. Thank you, Mr. Rael.

6 HEARING OFFICER ORTH: Mr. Brockmann, did you
7 decide that you had questions of Mr. Rael?

8 MR. BROCKMANN: My only request is that -- early
9 on in his testimony he was reading from a Taos -- Town of
10 Taos ordinance -- if he could identify for the record the
11 specific ordinance that he was reading from --

12 THE WITNESS: Okay.

13 MR. BROCKMANN: -- unless that's going to be
14 made an exhibit.

15 THE WITNESS: And I -- well, I did print it, and
16 what I wanted to say again is that they -- they keep
17 changing it over there. What's happening is --

18 HEARING OFFICER ORTH: Mr. Rael, I'm sorry; we
19 just want you to identify the ordinance.

20 THE WITNESS: Okay. I'm trying to find it.

21 MR. DOMENICI: I'm going to make -- I'm going to
22 make that an exhibit.

23 HEARING OFFICER ORTH: Okay. Thank you.

24 MR. DOMENICI: I'll make it an exhibit.

25 HEARING OFFICER ORTH: Thank you, Mr. Domenici.

1 All right. Mr. Brockmann, Mr. Domenici is going
2 to make it an exhibit, okay, so you can stop looking,
3 Mr. Rael.

4 Are there other questions? Sir, come up, give
5 us your name.

6 MR. BROCKMANN: No more for us.

7 HEARING OFFICER ORTH: Thank you.

8 MR. DOMENICI: There are still more questions.

9 HEARING OFFICER ORTH: You have more questions
10 coming, Mr. Rael.

11 THE WITNESS: Oh, he wants to ask me some
12 questions?

13 MR. DAUBERT: Yes. Sorry.

14 HEARING OFFICER ORTH: Tell us your name first.

15 MR. DAUBERT: Yes, Douglas Daubert,
16 D-a-u-b-e-r-t.

17 HEARING OFFICER ORTH: Okay. Thank you.

18 CROSS-EXAMINATION

19 BY MR. DAUBERT:

20 Q. Mr. Rael, you showed us a photo.

21 The first photo you showed us was a picture
22 of --

23 A. It's a picture of my property with 16 cells, and
24 it was an aerial shot.

25 Q. No, no, no, no, the other one where it's -- the

1 first one you showed us. Yeah.

2 What -- what -- that was a picture of what
3 again?

4 A. That's my septic truck there.

5 Q. Yeah. And what -- where are you at?

6 A. At the wastewater treatment plant.

7 Q. Okay. How -- how many -- how often do you go to
8 the waste treatment facility plant?

9 A. Well, we have a -- we've been going over there,
10 and I've been checking their site to see if it's really a
11 site that's really a site that we can go to.

12 I've gone quite a bit. I have several loads
13 I've done, and that's where I discovered everything that's
14 wrong with -- with the site.

15 Q. And none of the other haulers have ever
16 discovered this problem?

17 A. You better believe they have. They have
18 complained, and they're -- I was there one time -- last
19 load -- two hours.

20 One of the guys -- I'll tell you who it was --
21 it was Ray's Septic -- went over there and complained to
22 Gene -- he's the main officer there -- he complained and
23 told him like, you know, he kept me waiting two hours, two
24 and a half hours, for somebody to discharge.

25 So it's what -- I wish the septic haulers would

1 have been here so they could have told you exactly the
2 problems that are going on with that wastewater dumping
3 station. It's a -- it's a bad station to dump.

4 Q. But they still all use that?

5 A. (No response.)

6 Q. That's the only facility in Taos County that
7 they're able to use, correct?

8 A. There's one in -- if you're up in Red River.

9 Q. A treatment facility plant?

10 A. There's -- there's one up in Red River that you
11 can dump that's up there.

12 Q. Okay. So that --

13 A. I mean, if you're up in Red River --

14 COURT REPORTER: Wait a minute. One at a time,
15 please.

16 MR. DAUBERT: I'm sorry.

17 BY MR. DAUBERT:

18 Q. Okay. The second picture you showed us, when
19 was that taken?

20 A. That was probably taken about three weeks ago,
21 approximately. I'm not too sure about it.

22 Q. Could you show everyone that again, please?

23 A. I'll show you two of them.

24 Q. No, I just want to see the one you showed us.

25 Thank you.

1 In that picture, earlier Mr. Snyder described
2 how the plant vegetation in there was using nutrients and
3 was also helping with the evaporation, yet that picture
4 doesn't show a single plant in there.

5 A. You want to know --

6 Q. What happened to the plants?

7 A. -- do you know why? I have a backhoe, and I
8 work my site. I clean it up. I -- I make it look the way
9 it does.

10 I'm not going to just leave the stuff like that.
11 I got to make sure that I clean up my site. Is it wrong
12 for me to clean my site?

13 Q. So all the other pictures that Mr. Hansen showed
14 us were that you neglected to clean that site up at that
15 point?

16 A. Okay. You're putting a word, neglect. Can you
17 tell me what I neglected?

18 Q. You didn't clean up the site.

19 A. Yeah. You're -- you're -- see, you don't have
20 the experience that I do. What I did there is completely
21 wrong.

22 There's a time and season that those weeds go --
23 those weeds are -- are -- you're going to see them like
24 that in the winter.

25 There's a time and season, and I'll be real

1 honest with you, I like to wait until October comes, but I
2 did it and I cleaned up my site, because I knew that we
3 were going to have a hearing, which I wanted to show you
4 what my site looked like.

5 But I -- I clean the site up. Jason can
6 testify. You might be assuming something, but what it
7 is -- let me just explain it to you -- those weeds grow.

8 Q. Uh-huh. I'm sure they do.

9 A. They grow -- they grow, and anywhere you plant a
10 flower or tree, if there's water, it's going to grow.

11 Q. So you -- so at your own admission, you decided
12 to clean the site up because of the hearing?

13 A. I cleaned it because -- let -- let me just
14 finish. Okay? And what about if I -- if I cleaned it?
15 What about if I did clean it? What -- what's wrong with
16 it? Are you trying to assume something? Are -- you don't
17 want to see?

18 The bottom line is, this is what you got to look
19 at. Okay? Do you see any water in the -- and -- and
20 look -- you should be looking for sewage or wastewater.
21 Did you see any?

22 Q. Not in that picture, but in other ones we have.

23 A. So -- so how did it disappear?

24 Q. Second question for you -- another question for
25 you -- you said earlier that your site does not smell.

1 A. Correct.

2 Q. Then how come that I live four miles from there
3 and I can smell it? I have smelled it.

4 A. Well, let me tell you, if you can smell it, you
5 better check your own septic tank, because that's where --

6 Q. No, no, no, no.

7 A. -- that's where your smell is coming from, you.

8 Q. No, no, no.

9 A. Yes, yes, yes.

10 Q. I've had a septic system --

11 COURT REPORTER: One at a time. One at a time.

12 HEARING OFFICER ORTH: And -- and --

13 MR. DAUBERT: Okay.

14 HEARING OFFICER ORTH: -- this is the time --

15 A. Again, you're assuming something with no
16 evidence, and that's wrong. That's what's been happening
17 here.

18 Q. Sir --

19 A. You cannot prove that. Can you prove it --

20 HEARING OFFICER ORTH: Mr. Rael --

21 A. -- that it came from my site?

22 HEARING OFFICER ORTH: Mr. Rael, please.

23 THE WITNESS: Yes.

24 BY MR. DAUBERT:

25 Q. Can I -- so I'm -- I'm to understand that his

1 site doesn't smell, and I can ask the question -- that's
2 the question then, and he says it doesn't -- it doesn't
3 smell.

4 A. Can -- can I explain to you --

5 Q. Okay.

6 A. -- why it doesn't smell?

7 Q. I have another --

8 HEARING OFFICER ORTH: No, Mr. Rael.

9 BY MR. DAUBERT:

10 Q. I have another question.

11 Have you -- has S & R ever been fined for
12 dumping in the Rio Grande?

13 A. That -- that was a --

14 Q. That's a yes-or-no question.

15 A. Have I been fined?

16 Q. I said S & R.

17 A. No, I haven't been fined.

18 Q. I didn't say you.

19 A. Yeah.

20 Q. S & R.

21 A. Okay.

22 Q. Has S & R ever been fined or pled guilty for
23 dumping in the Rio Grande?

24 A. I'll answer it real good for you. I never --

25 Q. It's a yes or no.

1 A. Okay. I have never pled guilty, and that's no.

2 Q. I didn't ask you. I said --

3 A. I'm telling you --

4 Q. -- S & R.

5 A. -- no, no, no, no.

6 MR. DAUBERT: Can I submit this article then?

7 HEARING OFFICER ORTH: Certainly.

8 MR. DAUBERT: I don't know who it gets to.

9 HEARING OFFICER ORTH: Cody.

10 THE WITNESS: That was an article -- I never --
11 I never got fined for nothing.

12 MR. DAUBERT: I didn't ask you.

13 THE WITNESS: And I never --

14 MR. DAUBERT: I asked you --

15 THE WITNESS: -- I never --

16 COURT REPORTER: One at a time, please.

17 HEARING OFFICER ORTH: Hold on.

18 THE WITNESS: You know, that's a false --
19 that -- that is completely false, what you're reading
20 there.

21 MR. DAUBERT: No other questions.

22 HEARING OFFICER ORTH: Thank you, Mr. Daubert.

23 Is there anyone else who wants to question
24 Mr. Rael?

25 MR. DOMENICI: I do.

1 HEARING OFFICER ORTH: Mr. Domenici, do you have
2 any follow-up?

3 MR. DOMENICI: First, I want to object to that
4 as hearsay --

5 HEARING OFFICER ORTH: Okay.

6 MR. DOMENICI: -- so I don't -- I don't
7 stipulate to its admission.

8 HEARING OFFICER ORTH: Thank you.

9 MR. DOMENICI: I didn't get to see it, but a
10 newspaper is hearsay generally.

11 REDIRECT EXAMINATION

12 BY MR. DOMENICI:

13 Q. So how much do you gross by dumping at -- at
14 this site a year?

15 A. I really couldn't answer that because, you know,
16 I haven't sat down to really --

17 Q. Is it more than \$100,000?

18 A. No, I wouldn't say -- not even close.

19 Q. So the borings would cost not just your profit,
20 but they would cost more than your gross for several
21 years?

22 A. Yeah, what -- yeah, it would. It would take all
23 my savings, everything I have worked for.

24 MR. DOMENICI: That's all I have.

25 HEARING OFFICER ORTH: All right. Thank you.

1 Is there any reason not to excuse Mr. Rael?

2 MR. DOMENICI: I do want to move a few exhibits,
3 which are in my --

4 HEARING OFFICER ORTH: Okay.

5 MR. DOMENICI: -- Notice of Intent, and then I
6 have one additional.

7 HEARING OFFICER ORTH: All right.

8 MR. DOMENICI: So they're Rael 1, 2, 6.2, and
9 6.3, and then Exhibit 7, which I'll give to the court
10 reporter, which is the ordinance, the Taos City -- the
11 Town of Taos ordinance.

12 HEARING OFFICER ORTH: All right. Any
13 objections?

14 MR. JOHNSON: No objection.

15 MR. BROCKMANN: No objection.

16 HEARING OFFICER ORTH: Thank you. They're
17 admitted.

18 (Rael Exhibit No. 1, Rael Exhibit No. 2, Rael
19 Exhibit No. 6.2, Rael Exhibit No. 6.3, and Rael Exhibit
20 No. 7 admitted into evidence.)

21 HEARING OFFICER ORTH: So we're just a little
22 past midnight, and on the break I was kind of running
23 around talking with people about wanting to go a little
24 bit longer, but not terribly much longer, and in
25 particular, I spoke with Mr. Smith, who submitted a

1 document titled Notice of Intent.

2 Mr. Smith, would you come up?

3 Mr. Smith indicated that he wanted to speak
4 tonight and that he believed his comment would be ten
5 minutes or so. We'd like to hear from Mr. Smith.

6 Would you raise your right hand, please?

7 DION SMITH,

8 having been first duly sworn, testified as follows:

9 HEARING OFFICER ORTH: And would you spell your
10 first name?

11 MR. SMITH: D-i-o-n. May I proceed?

12 HEARING OFFICER ORTH: Please.

13 MR. SMITH: My name is Dion Smith, and I am on
14 the board at Stagecoach Hills Association for the
15 neighborhood.

16 I'm going to speak about airborne contaminants.
17 I'm not an expert in the field, although I do have a
18 health background, which is connected to this.

19 What prompted this research that we did was
20 because we have had people in the community express
21 smelling odors from time to time over the past four or
22 five years that I've been here.

23 So we did some research, and since New Mexico
24 Environmental Department does not monitor air quality as
25 it relates to sewage lagoons or cells, we have research

1 studies by experts and scientists in the field concerning
2 this, and the evidence was overwhelming. Breathing raw
3 sewage fumes can not only be unpleasant, but
4 physiologically damaging.

5 Somebody brought it up earlier about gases.
6 Gases, compounds, common colorless gases encountered in
7 sewage systems --

8 COURT REPORTER: I'm sorry; could you -- could
9 you say that again?

10 MR. SMITH: Common colorless gases encountered
11 in sewage systems includes hydrogen sulfide, carbon
12 dioxide, methane, and ammonia.

13 High levels of these gasses are toxic, and high
14 concentrations of methane and carbon dioxide in particular
15 displaced oxygen.

16 In addition, industrial solvents -- like those
17 from household cleaners and fresheners and biological
18 contaminants in sewage -- may become airborne and cause
19 adverse health effects, and that's where the community is
20 very concerned about that -- not just about the water.
21 We've been focusing a lot on the ground; this is in the
22 air.

23 There are an array of symptoms that can happen.
24 I want to talk about -- one is volatilization, which is
25 the evaporation of gases, loss of a substance to the

1 atmosphere.

2 Agitation of raw sewage -- which Mr. Rael just
3 talked about him doing that -- can cause volatilization of
4 biological contaminants in the sewage. Although the
5 microbials are short-lived, they can be spread, and in
6 particular by the wind.

7 So some of the things that we need to look at
8 here, we do recognize that the sewage contains
9 contaminants and can cause serious illness or disease.

10 These infections and diseases can be caused by
11 transmittal of bacteria and virus by water, wind, dust,
12 insects -- like flies and cockroaches -- plants,
13 animals -- like dogs and cats -- and other animals that
14 roam on the mesa here.

15 One of the things I would like to talk about
16 that was mentioned earlier is that the heat helps to dry,
17 but heat also increases the bacteria -- the amount of
18 bacteria that exists.

19 So what I'm concerned about is that it's not
20 static just in that area, but it is moved around into our
21 neighborhood in particular.

22 Disease, what I'd like to share is some of the
23 diseases because -- and -- and things change over time,
24 and I want Mr. Rael to understand this is not about, we
25 don't like you, or anything like that. It is about --

1 well, you want to protect your business; we want to
2 protect our lives.

3 Disease and illness is very threatening, and
4 recent research over the last 15 years has demonstrated
5 that the science doesn't always -- that was 15 years ago
6 is not the same now.

7 So some disease-causing agents in raw sewage
8 cause bacteria, fungi, parasites, and viruses, and can
9 cause serious illness, including bacterial infections, a
10 lot of tetanus, hepatitis A. Some of these things I have
11 trouble pronouncing.

12 There's an infection caused by a
13 corkscrew-shaped bacteria causing symptoms like headaches,
14 muscle pain, fever, to severe symptoms with bleeding from
15 the lungs and meningitis. It can cause respiratory and
16 gastrointestinal illness. We could have trachoma, which
17 is an infection to the inner surface the eyelids. There
18 are skin issues, pneumonia, abscesses that can happen.

19 And these things have happened not only in this
20 country, but throughout other countries -- progressive
21 countries in the world, like Australia and Canada, where
22 we -- we also saw some of that -- some of the research
23 from there.

24 In exploring -- in my -- in our exploration, we
25 also found some of the science research. As of March

1 2016, their statement -- this is a statement from the
2 scientist -- the science does -- doesn't support the
3 disposal of sewage on the landscape. The supposed
4 benefits are more than offset by the risk to human and
5 environmental health.

6 Efficient systems are needed along the complete
7 chain of service, from collection to disposal, in order to
8 protect communities from health threats.

9 Human excretion contains harmful pathogens that
10 can cause disease and present health risks if not buried
11 or treated.

12 Pollutants from -- from ground -- to
13 groundwater, we obviously know that. What we want to
14 focus in on here is the airborne ones.

15 So in summary -- in their summary, they said
16 liquid waste includes human excretion and other
17 wastewaters. It is essential to ensure that this
18 excretion is separated from people and to protect water
19 sources from contamination by liquid waste, as well as the
20 air.

21 This is my summary from our concerns is,
22 locally, in view of the known evidence of geological
23 fractures and faults and permeability and all the things
24 that were talked and speculated and assumed about tonight,
25 those raise fears because there still is risk.

1 Nobody has given any definitive information here
2 about that. I know they want to check and see what the
3 situation is. There's also inadequate information due to
4 the process in geological exploration and health
5 considerations.

6 Along with the risk of disease-causing threats
7 into our air and water environment, which consequently
8 pose an ongoing threat to local public health and safety,
9 this is -- every day is the potential for us here. Okay?

10 Also adding to our apprehension is the long
11 history around this open pit sewer dump. As mentioned,
12 there have been numerous regulatory violations and
13 failures to be compliant with -- with New Mexico
14 Environmental Department, mandated protocol, and proposed
15 remediation.

16 There has been the apparent failure and
17 inability of New Mexico Environment to monitor and enforce
18 their protocols and remediation enforcement. This raises
19 the question of, who knows what is happening there.

20 Finally, there is the element of the seemingly
21 callous, indifferent response -- maybe not on purpose --
22 it sounds like they don't have enough manpower -- person
23 power there to pass -- to take care of the efforts,
24 because this has -- this is not the first time that this
25 has been contested.

1 This -- this is, I believe, the third or fourth
2 time that this has been contested, and there seems to be a
3 pattern of rubber stamping, because there's the inability
4 to hold accountability here.

5 So this -- this perspective is in reaction to
6 the fact that much of this information has been expressed
7 repeatedly since 2002, and the governing body, which
8 espouses a mission to protect the environment and related
9 public health, rubber stamps a permit renewal every five
10 years.

11 S & R and New Mexico Environmental Department
12 need to understand that they have a responsibility to
13 protect from such environment and health casualties.
14 Failure to do so and any resulting casualties make them
15 legally liable.

16 It is not like S & R does not have a viable
17 alternative in dumping their waste. They do have the
18 treatment plant in town.

19 We had a representative here earlier who had to
20 leave who met with the Taos treatment plant and assured
21 her that they were capable of handling the treatment -- I
22 mean, the dumping of sewers there -- including S & R if
23 they chose to do so.

24 This situation repeats a continuing ethical
25 question in our culture, which is, what's more important,

1 money or people's health and safety?

2 And I would like to ask -- to finish -- if this
3 is in your neighborhood, would you not want valid
4 assurance and accountability to make sure that your
5 neighborhood was safe?

6 Thank you.

7 HEARING OFFICER ORTH: Thank you, Mr. Smith.

8 Mr. Domenici, do you have questions of
9 Mr. Smith?

10 MR. DOMENICI: No questions.

11 HEARING OFFICER ORTH: Mr. Johnson?

12 MR. JOHNSON: No questions.

13 HEARING OFFICER ORTH: Mr. Brockmann?

14 MR. BROCKMANN: No questions. Thank you.

15 HEARING OFFICER ORTH: Anyone else?

16 Okay. Thank you very much, Mr. Smith.

17 It's now a quarter after twelve. Is -- is there
18 anyone who has something very short that they would like
19 to say tonight and not rejoin us on Monday morning? Okay.
20 I see no hands.

21 What we have left then is Mr. Brockmann's
22 witness, Mr. Painter, right?

23 MR. BROCKMANN: Correct.

24 HEARING OFFICER ORTH: And witnesses from the
25 Bureau; yes?

1 MR. JOHNSON: (Nods head.)

2 HEARING OFFICER ORTH: How much -- so I heard an
3 estimate now from Mr. Brockmann of 30 minutes. Remind me
4 of the estimate from the Bureau of its witnesses.

5 MR. JOHNSON: We'll probably have 45 minutes --

6 HEARING OFFICER ORTH: Okay.

7 MR. JOHNSON: -- or an hour.

8 HEARING OFFICER ORTH: Sorry?

9 MR. JOHNSON: Or an hour. Or an hour.

10 HEARING OFFICER ORTH: Yeah, or an hour. All
11 right.

12 Mr. Domenici?

13 MR. DOMENICI: I don't think we should finish
14 tonight. I -- I have commitments tomorrow morning, and
15 we -- with cross-exam, we're going to be till 2:00 for
16 sure.

17 HEARING OFFICER ORTH: Yeah, I agree with you.

18 MR. DOMENICI: And -- and I would -- I'm
19 ready -- I'll conclude my case first thing. I have some
20 more exhibits I want to tender, and then I will be done
21 with my case, but that's -- I do have that one thing.
22 I'll do that on Monday --

23 HEARING OFFICER ORTH: Okay.

24 MR. DOMENICI: -- if that's okay.

25 HEARING OFFICER ORTH: So at the moment, the

1 venue on Monday is the Taos field office. Give us the
2 address there.

3 MR. HERMAN: I'll have to look it up.

4 HEARING OFFICER ORTH: Okay. And shall we start
5 at 9:00? Is that a good time to start?

6 MR. DOMENICI: No.

7 HEARING OFFICER ORTH: No.

8 MS. HUNTER: It's too early --

9 HEARING OFFICER ORTH: It's too early?

10 MS. HUNTER: -- because we have to travel to get
11 here, so it's --

12 COURT REPORTER: Ma'am, could you state your
13 name?

14 MS. HUNTER: Michelle Hunter.

15 COURT REPORTER: Thank you. Sorry.

16 HEARING OFFICER ORTH: Michelle Hunter.

17 So Mr. Brockmann, you're the one who -- who --
18 what?

19 MR. BROCKMANN: It -- it sounds -- if -- if
20 you're -- if the total estimate is two hours and we're
21 done by noon, I should be fine.

22 HEARING OFFICER ORTH: Okay. Sometimes things
23 take a little longer than --

24 MR. BROCKMANN: And the other thing, I can
25 consult with Mr. Painter, but -- but if we look like we're

1 going to get in a time crunch, we might check with you and
2 NMED and maybe ask Mr. Painter to go first, and then if I
3 need to leave before Groundwater Bureau is -- is finished,
4 that's a possibility.

5 HEARING OFFICER ORTH: Okay. So 9:30, is that
6 okay?

7 MR. BROCKMANN: That's --

8 MS. HUNTER: 9:30 seems good.

9 HEARING OFFICER ORTH: All right. Is 9:30 good
10 for you?

11 MR. DOMENICI: 10:00 is better.

12 HEARING OFFICER ORTH: 10:00 is better?

13 MR. DOMENICI: Well, I'm coming from
14 Albuquerque.

15 HEARING OFFICER ORTH: I'm sorry?

16 MR. DOMENICI: I'm coming from Albuquerque,
17 so --

18 HEARING OFFICER ORTH: You're coming from
19 Albuquerque, that's correct.

20 MR. DOMENICI: And so is my witness, Mr. Snyder.

21 HEARING OFFICER ORTH: Okay. And your stopping
22 point was more like 3:00 p.m., Mr. Brockmann?

23 MR. BROCKMANN: Pardon me?

24 HEARING OFFICER ORTH: Your stopping point was
25 more like 3:00 p.m.?

1 MR. BROCKMANN: You know, noon or 1:00 is -- is
2 best for me, but again, if Mr. Painter maybe can go first.

3 HEARING OFFICER ORTH: Does the Bureau object to
4 that?

5 MS. HUNTER: No.

6 MR. JOHNSON: No.

7 HEARING OFFICER ORTH: Okay. So --

8 MR. BROCKMANN: And then if I have to leave --

9 HEARING OFFICER ORTH: Yes. So this is the plan
10 for Monday: We'll start at 10:00. The venue is currently
11 the Taos field office. The address is -- just read it.

12 MR. HERMAN: 145 Roy Road, Suite B, Taos, New
13 Mexico 87571.

14 HEARING OFFICER ORTH: All right. It's a very
15 small venue. They are going to actively look for a larger
16 venue between now and 10:00 Monday morning.

17 If you would like an email -- we'll put a sign
18 on the door if we move somewhere else, but if you'd
19 actually like an email to be sent to you as soon as we
20 know, please put your email on here.

21 I don't mean counsel; I mean anyone else.
22 Counsel will definitely get an email if we're going
23 anywhere else, but if anyone else would like an email, if
24 we know, for example, we're going to a larger venue,
25 please put your email on that paper.

1 Okay. So at 10:00 Monday morning, Mr. Domenici
2 will wrap up his presentation. We'll hear from
3 Mr. Painter, and then we'll here from the Bureau.

4 I'll solicit any public comment that has not yet
5 been offered. People just go once, so if anyone has not
6 offered public comment tonight and would like to do so on
7 Monday, they'll have an opportunity.

8 Also, let me mention that if, for example, you
9 have something else you'd like to say in public comment or
10 maybe you can't actually join us Monday, please write your
11 public comment, and so long as you get it to Cody by -- by
12 the end of Monday, it will become part of the record.

13 MR. BARNES: I'll also put my cards next to the
14 sign-in sheet in case you all need to email me, call me,
15 whatever.

16 HEARING OFFICER ORTH: And could you give them
17 your phone number?

18 MR. BARNES: Yeah, it's on -- it's on there as
19 well.


20 HEARING OFFICER ORTH: All right. Any questions
21 about our plan? No.

22 Okay. Well, thank you all very much, and drive
23 safely home.

24 (PROCEEDINGS ADJOURNED AT 12:20 A.M.)
25

1 STATE OF NEW MEXICO)
2)ss
3 COUNTY OF BERNALILLO)
4

5 I, Rebecca Fella, the officer before whom the
6 foregoing PUBLIC HEARING was taken, do hereby certify that
7 the foregoing PUBLIC HEARING was personally recorded by
8 machine shorthand; that said PUBLIC HEARING is a true
9 record; that I am neither attorney nor counsel for, nor
10 related to or employed by any of the parties to the action
11 in which this PUBLIC HEARING is taken, and that I am not a
12 relative or employee of any attorney or counsel employed
13 by the parties hereto or financially interested in the
14 action.

15 

16 REBECCA FELLA
17 CCR License Number: 534
18 Expires: 12/31/19
19
20
21
22
23
24
25